

BEFORE THE  
CALIFORNIA STATE WATER RESOURCES CONTROL BOARD

Douglas and Heidi Cole            )  
and Marble Mountain Ranch        )  
  )  
Stanshaw Creek in Siskiyou        )  
County                                )  
  )  
Public Hearing                        )  
\_\_\_\_\_ )

REGION 5 AUDITORIUM  
CENTRAL VALLEY WATER QUALITY CONTROL BOARD  
11020 SUN CENTER DRIVE, SUITE 200  
RANCHO CORDOVA, CA

Monday, November 13, 2017

10:00 A.M.

Volume 1

Pages 1 - 224

Reported by: Peter Petty

APPEARANCES

CALIFORNIA WATER RESOURCES CONTROL BOARD

Division of Water Rights

Board Members Present:

Steven Moore, Vice Chair (Hearing Officer)

Hearing Team Members Present:

Lily Weaver, Staff Counsel

Mara Irby, Staff Environmental Scientist

Jean McCue, Staff Engineer

Conny Mitterhofer, Senior Water Resource Control Engineer

Jane Farwell-Jensen, Staff Environmental Scientist

Michael Buckman, Hearing Unit Chief

Prosecution Team Members Present:

Kenneth Petruzzelli, Attorney III, Office of Enforcement

Heather Mapes, Attorney I

INTERESTED PARTIES

For Douglas and Heidi Cole, Marble Mountain Ranch (MMR)

Barbara A. Brenner, Partner, Churchwell White, LLP

Kerry Fuller, Attorney

For California Department of Fish & Wildlife (CDFW)

Stephen Puccini, Senior Staff Counsel

Nathan Voegeli, Staff Counsel

For California Sportfishing Protection Alliance (CSPA)

Christopher R. Shutes, FERC Projects Director

For Karuk Tribe

Drevet J. Hunt, Attorney, Lawyers for Clean Water

For Old Man River Trust

Konrad Fisher

APPEARANCES (Cont.)

INTERESTED PARTIES (Cont.)

For National Marine Fisheries Service (NMFS)

Christopher Keifer

WITNESSES:

Leonard Joseph (Joey) Howard, for Division of Water Rights Prosecution Team

Steven P. Cramer, for Douglas and Heidi Cole, Marble Mountain Ranch (MMR)

Philip Albers, Jr., for Old Man River Trust (OMRT)

Witness Panel for the Division of Water Rights Prosecution Team

Taro Murano  
Skyler Anderson  
Stormer Feiler

INDEX

	<u>Page</u>
Opening Remarks by Hearing Officer Moore	7
OPENING STATEMENTS BY	
Kenneth Petruzzelli, Attorney III, Office of Enforcement, DWR	26
Barbara A. Brenner, Partner, Churchwell White, LLP, MMR	67
Konrad Fisher, Old Man River Trust	165

--o0o--

<u>WITNESS CALLED BY PROSECUTION TEAM</u>	<u>Page</u>
LEONARD JOSEPH (JOEY) HOWARD	
DIRECT EXAMINATION BY:	
Mr. Petruzzelli	42
CROSS-EXAMINATION BY:	
Ms. Brenner	54
Mr. Fisher	60
<u>WITNESS CALLED BY MARBLE MOUNTAIN (MMR)</u>	
STEVEN P. CRAMER	
DIRECT EXAMINATION BY:	
Ms. Brenner	74
CROSS-EXAMINATION BY:	
Mr. Petruzzelli	103

INDEX (Cont.)

	<u>Page</u>
<u>WITNESS CALLED BY MARBLE MOUNTAIN (MMR)</u>	
STEVEN P. CRAMER (Cont.)	
CROSS-EXAMINATION BY: (Cont.)	
Mr. Keifer	122
Mr. Hunt	126
Mr. Shutes	131
REDIRECT EXAMINATION BY	
Ms. Brenner	132
RE-CROSS-EXAMINATION BY	
Mr. Petruzzelli	142
Mr. Fisher	147
Mr. Shutes	150
Ms. Irby	155
Ms. McCue	161
 <u>WITNESS CALLED BY OLD MAN RIVER TRUST (OMRT)</u>	
PHILIP ALBERS, JR.	
DIRECT EXAMINATION BY	
Mr. Fisher	165
CROSS-EXAMINATION BY	
Mr. Petruzzelli	171
Ms. Brenner	174
 <u>WITNESS PANEL CALLED BY PROSECUTION TEAM</u>	
TARO MURANO	
SKYLER ANDERSON	
STORMER FEILER	
DIRECT EXAMINATION BY	
Mr. Petruzzelli	182

INDEX

EXHIBITS

Page

(NO EXHIBITS WERE MARKED OR ENTERED INTO EVIDENCE)

1 Monday, November 13, 2017

10:01 A.M.

2 P R O C E E D I N G S

3 ---000---

4 HEARING OFFICER MOORE: All right. This is the  
5 time and place for the hearing to determine whether to  
6 issue an order finding waste, unreasonable use,  
7 unreasonable method of use, or unreasonable method of  
8 diversion of water and ordering corrective actions  
9 against Douglas and Heidi Cole and Marble Mountain Ranch.  
10 The Draft Order finding waste, unreasonable method of  
11 use, and unreasonable method of diversion of water and  
12 ordering corrective actions was issued by the Assistant  
13 Deputy Director for the Division of Water Rights on  
14 August 30th, 2016.

15 I'm Steven Moore, Vice Chair of the State Water  
16 Resources Control Board. I'll be assisted by Staff  
17 Counsel, Lily Weaver; Staff Environmental Scientist, Mara  
18 Irby; Staff Engineer, Jean McCue. And we also have other  
19 staff assisting us today. Conny Mitterhofer, Jane  
20 Farwell-Jensen, Michael Buckman, and of course our  
21 esteemed court reporter.

22 Evacuation procedure, you know before we get  
23 started please look around the room and identify the  
24 nearest exit. I know this is probably the best exit  
25 route to get out of the building. And in the event of a

1 fire alarm we're all required to evacuate this room  
2 immediately, so please take your valuables and exit the  
3 building. And our evacuation location is in the parking  
4 lot in front of the building.

5 The hearing is being held in accordance with  
6 the Notice of Public Hearing dated June 9th, 2017 and the  
7 Revised Notice of Public Hearing dated August 16th, 2017.

8 The purpose of this hearing is to avoid -- I'm  
9 sorry -- is to afford the parties to this proceeding an  
10 opportunity to present relevant oral testimony and other  
11 evidence, which address the following noticed two key  
12 issues. And we'll be circling back to these issues over  
13 and over again to make sure that we're centered in our  
14 discussions.

15 Number one, does the past or current diversion  
16 or use of water by Douglas and Heidi Cole at Marble  
17 Mountain Ranch constitute a waste, unreasonable use,  
18 unreasonable method of use, or unreasonable method of  
19 diversion of water particularly in light of any impacts  
20 to public trust resources? That's number one.

21 Number two, if the past or current diversion or  
22 use of water by Douglas and Heidi Cole and Marble  
23 Mountain Ranch constitutes a waste, unreasonable use,  
24 unreasonable method of use, or unreasonable method of  
25 diversion of water what corrective actions, if any,



1 should be implemented? And with what time schedule  
2 should they be implemented? How should the  
3 implementation time schedule for any corrective actions  
4 be coordinated with the requirements of the Cleanup and  
5 Abatement Order issued by the North Coast Regional Water  
6 Quality Control Board?

7           So those are the two issues. I'm sure we'll  
8 have a chance to reiterate them.

9           I wanted to let everyone know we are  
10 broadcasting this hearing on the Internet and recording  
11 both audio and video. In addition, our court reporter is  
12 present to prepare a transcript of this proceeding.

13 Anyone who would like an expedited copy of the transcript  
14 must make separate arrangements with the court reporter.

15           To assist the court reporter, please provide  
16 him with your business card. When you speak please be  
17 sure to use a microphone, so that everyone can hear you  
18 here, and in the recording. A maximum of five  
19 microphones may be on at once and they must be turned on  
20 and off manually. Therefore, please take care to turn  
21 off the microphone you are using when you are finished  
22 speaking and I'll try to also follow those rules. It's  
23 something that takes some getting used to, so we  
24 understand.

25           Finally, please take a moment to turn off or

1 mute your cell phones. Even if you think it's already  
2 off or muted just take a quick moment to double check.  
3 See, I've got the orange on mine, and everyone  
4 appreciates that. Thank you very much.

5           And so now we'll get into the explanation of  
6 the Order of Proceeding and thanks to everybody for  
7 traveling here today. Everyone had to make some  
8 sacrifice to be here and we all appreciate that.

9           Before we begin the evidentiary portion of the  
10 hearing, and hear from the parties who have submitted  
11 cases in chief, we will hear from any speakers who are  
12 not designated parties but wish to make a non-evidentiary  
13 policy statement. Please note that all designated  
14 parties will have an opportunity to present an opening  
15 statement, even those parties that are not presenting  
16 direct testimony. Parties may include any policy-type  
17 statements during their opening statements.

18           Is there anyone here who wishes to make a non-  
19 evidentiary policy statement? Please identify yourself.

20           (No audible response.)

21           No policy statements? Okay. We will note for  
22 the record, that no one here today has indicated that  
23 they wish to make a non-evidentiary policy statement and  
24 we will move on to the evidentiary portion of the hearing  
25 for presentation of evidence and related cross-

1 examination by parties who have submitted notices of  
2 intent to appear.

3           So the hearing teams receive scheduling  
4 requests from multiple parties to the hearing. We  
5 appreciate the parties' efforts to coordinate. To  
6 accommodate these requests the best we can, we will  
7 deviate from the general order of the proceedings at  
8 times, particularly today and tomorrow. I will explain  
9 the general manner of proceeding first and then how we  
10 will be deviating from it.

11           We received a request to discuss the order of  
12 proceeding and I will allow for a brief discussion  
13 shortly. But first, would Konrad Fisher from Old Man  
14 River Trust please come up to the microphone and explain  
15 the need to accommodate your witness, Phil Alpers, (sic)  
16 on this morning.

17           MR. FISHER: Here we go, so I have two  
18 witnesses. One is another person who has been -- who is  
19 connected to the mouth of Stanshaw Creek, Phil Albers,  
20 who is here. The other was to talk about remedies. Phil  
21 can only be here today and even if it means me not  
22 speaking, I would very much appreciate if he could speak  
23 for ten minutes. It's what he has to say is relevant and  
24 it would be just ten minutes. I, on the other hand, can  
25 be flexible and speak another day.

1 MS. WEAVER: So we need some additional  
2 information to determine whether there's good cause to  
3 change the schedule, so can you tell us a little bit more  
4 about why he can only be here today?

5 MR. FISHER: So first I thought this was  
6 resolved already, so we had a process where parties were  
7 -- said please work it out. And this was one of my  
8 requests within that process, so until yesterday, I  
9 thought it was already resolved. The reason is your  
10 question? I have only --

11 MS. WEAVER: That's correct.

12 MR. FISHER: Sorry?

13 MS. WEAVER: That's correct.

14 MR. FISHER: I have only two witnesses. This  
15 is my most important witness. I follow the procedure to  
16 ask that he speak first, as it was explained to me.

17 HEARING OFFICE MOORE: Well, that's fine. I  
18 think what Ms. Weaver is pointing out is that we did get  
19 the correspondence. We have arranged a whole Order of  
20 Proceedings. For the record, we just wanted you to  
21 explain why we needed to change the schedule to  
22 accommodate Mr. Albers.

23 MR. FISHER: Okay, great. Thank you. I  
24 appreciate that.

25 HEARING OFFICE MOORE: Okay. Well, I

1 appreciate the explanation. So the general order in  
2 which the parties will present their direct testimony  
3 and/or conduct cross-examination will be first, Division  
4 of Water Rights Prosecution Team, Kenneth Petruzzelli.

5           And second, Douglas and Heidi Cole, Marble  
6 Mountain Ranch, Barbara Brenner.

7           Third, National Marine Fishery Service,  
8 Christopher Keifer.

9           Fourth, California Department of Fish and  
10 Wildlife, Stephen Puccini and Nathan Voegeli.

11           Fifth, Karuk Tribe, Fatima Abbas and Drevet  
12 Hunt.

13           Sixth, Old Man River Trust, Konrad Fisher.  
14 Excuse me.

15           Seventh, Klamath Riverkeeper, Paul Kibel.

16           Eighth, California Sportfishing Protection  
17 Alliance, Chris Shutes and Michael Jackson.

18           And finally ninth, Pacific Coast Federal --  
19 sorry, Pacific Coast Federation of Fishermen's  
20 Associations and Institute for Fisheries Resources,  
21 Noah Oppenheim or Regina Chichizola.

22           Okay. As I stated earlier I will allow all the  
23 parties to make an opening statement. At the beginning  
24 of each case in chief, the party may make an opening  
25 statement. Opening statements should briefly summarize a

1 party's position and if applicable, what the party's  
2 evidence is intended to establish. Given that California  
3 Sportfishing Protection Alliance and Pacific Coast  
4 Federation of Fishermen's Associations and Institute for  
5 Fisheries Resources will not be providing direct  
6 testimony, we will hear their opening statements after  
7 conclusion of the direct testimony. So are we clear?

8           After a party's opening statement is presented  
9 we will hear oral testimony from the party's witnesses.  
10 Before testifying, witnesses should identify their  
11 written testimony as their own and affirm that it is true  
12 and correct. Witnesses should summarize the key points  
13 in their written testimony and should not read their  
14 written testimony into the record.

15           Direct testimony of each party's witnesses will  
16 be followed by cross-examination from the other parties,  
17 the Board staff, and myself if it comes up. Redirect  
18 testimony and recross-examination limited to the scope of  
19 the redirect testimony may be permitted. So that is the  
20 recross-examination is limited to the scope of the  
21 redirect testimony. After all cases in chief are  
22 completed the parties may present rebuttal evidence.  
23 Parties are encouraged to be efficient when presenting  
24 their cases and their cross-examination.

25           Except where I approve a variation, we will

1 follow the procedures set forth in the Board's  
2 regulations and in the hearing notices.

3           The parties' presentations are subject to the  
4 following time limits. Opening statements are limited to  
5 20 minutes per party. Oral presentations of direct  
6 testimony are limited to one hour total per party, 20  
7 minutes per witness. Any cross-examination will be  
8 limited to no more than one hour per witness, or a panel  
9 of witnesses. Additional time may be allowed upon a  
10 showing of good cause. And, in the interest of  
11 efficiency, all parties should take care to meet the time  
12 limits for direct testimony and cross-examination,  
13 particularly when all witnesses of a party are not  
14 presenting direct testimony and undergoing cross-  
15 examination as a panel.

16           We will not be conducting oral closing  
17 arguments. An opportunity will be provided for  
18 submission of written closing briefs. I will set the  
19 briefing schedule at the close of the hearing. Given the  
20 scheduling requests we have received, it is foreseeable  
21 that we will only have an opportunity to hear from the  
22 following witnesses today: Joey Howard, for the Division  
23 of Water Rights Prosecution Team; Steve Cramer from  
24 Marble Mountain Ranch; and Phil Albers for Old Man River  
25 Trust.

1           In light of the shifting schedule for  
2 presentations that were received and in the interest of  
3 time, I will allow the Prosecution Team, Marble Mountain  
4 Ranch and Old Man River Trust, if they wish to reserve  
5 the remainder of their unused opening statement time  
6 today for when they present their remaining witnesses  
7 testimony.

8           So today, after the appearances of the parties,  
9 we will hear the Prosecution Team's opening statement  
10 followed by oral direct testimony and cross-examination  
11 of their witness, Joey Howard. Following any potential  
12 redirect and recross of Mr. Howard, Marble Mountain Ranch  
13 will have an opportunity to present their opening  
14 statement. This will presumably take us into the  
15 afternoon. No earlier than 1:00 p.m., Marble Mountain  
16 Ranch witness Steve Cramer, will provide oral direct  
17 testimony and will then be cross-examined. Following any  
18 potential redirect and recross of Mr. Cramer, Old Man  
19 River Trust will have an opportunity to present an  
20 opening statement, followed by the presentation of direct  
21 testimony by Phil Albers, with the potential for redirect  
22 and recross.

23           As described in my October 31st, 2017 ruling  
24 letter, parties should be aware that witnesses will be  
25 compelled to return on Tuesday, November the 14th, 2017



1 if necessary to complete cross-examination. If witnesses  
2 fail to return to complete cross-examination the Board  
3 has discretion to entertain such motions as may be  
4 necessary to prevent prejudice to other parties.

5           On Tuesday, we will complete any remaining  
6 cross-examination of these witnesses, if necessary. We  
7 will then allow Klamath Riverkeeper to present its  
8 opening statement and direct testimony, after which we  
9 will resume the Prosecution Team and Marble Mountain  
10 Ranch's remaining cases in chief.

11           That was an earful I'm sure, for everybody.  
12 But we aim to accommodate the needs, especially with  
13 those who have traveled so far. And we want to be  
14 sensitive to folks' schedule, so we hope this  
15 accommodates folks to the best of our ability.

16           This brings us into housekeeping. Would any  
17 parties like to discuss the Order of Proceeding I have  
18 just outlined? We do have somebody who would like to  
19 discuss this. Come up to the microphone please and  
20 identify yourself. Thank you.

21           MR. HUNT: Hi, thank you. I'm Drevet Hunt.  
22 I'm here on behalf of Karuk Tribe. And one of our  
23 witnesses, Leaf Hillman, has to travel to Colorado on  
24 Wednesday. So we were hoping that perhaps between the  
25 Klamath Riverkeeper and the resumption of the Prosecution

1 Team's case, tomorrow we could present his testimony and  
2 if necessary, because things aren't moving as quickly as  
3 possible, before the end of the day tomorrow, to present  
4 his testimony. It shouldn't take too much time. It's  
5 not that lengthy.

6 HEARING OFFICE MOORE: Okay. I just want to  
7 make sure folks have an opportunity to object to this  
8 proposal if it's going to cause any concern. And seeing  
9 no objections I think we will do our best to figure out  
10 the scheduling and the sequence of witnesses to  
11 accommodate -- what's the person's name again --

12 MR. HUNT: Leaf Hillman

13 HEARING OFFICE MOORE: -- Leaf Hillman's  
14 scheduling constraints, so I'll make a note of that.

15 MR. HUNT: Okay.

16 HEARING OFFICER MOORE: And I'll work with the  
17 Hearing Team to make sure that you have some certainty on  
18 when that will happen.

19 MR. HUNT: Okay. Thank you so much.

20 HEARING OFFICE MOORE: Thank you.

21 MR. PETRUZZELLI: The Prosecution Team has a  
22 request.

23 HEARING OFFICE MOORE: Please come forward and  
24 please identify yourself. Thank you.

25 MR. PETRUZZELLI: Kenneth Petruzzelli for the

1 Prosecution Team. The Prosecution Team would like to  
2 present the direct oral testimony from its witnesses,  
3 starting out. And this does prevent -- present the  
4 foundation for the case, so it can most -- be most easily  
5 understood by everyone here.

6 We have for our Prosecution Team witnesses --  
7 they have presentations with exact amounts of budgeted  
8 time. Mr. Howard is an adverse witness, so his time is a  
9 little less exact. So it would be much easier for me to  
10 be able to present our main Prosecution Team witnesses  
11 first and then Joey Howard with our remaining time.

12 HEARING OFFICE MOORE: Okay. Thanks for the --

13 MR. PETRUZZELLI: Thank you.

14 HEARING OFFICER MOORE: -- the request. We're  
15 taking that into account here. I'm looking at the Order  
16 of Proceedings. And so I guess, Mr. Petruzzelli, one  
17 question I have is do you have a suggested time in the  
18 sequence for Mr. Howard to be inserted?

19 MR. PETRUZZELLI: So I was budgeting ten  
20 minutes for him, so we could stay within our hour. So I  
21 was trying to -- my hope is that we can present direct  
22 oral testimony from all of our witnesses in an hour. And  
23 then if I need a bit of latitude with Mr. Howard, given  
24 his adverse nature, I would request that if necessary.

25 HEARING OFFICE MOORE: Okay. I --

1 MS. WEAVER: Let's confer (indiscernible)

2 HEARING OFFICER MOORE: Let's confer, because  
3 this is a little different than our understanding coming  
4 in.

5 (Whereupon, Hearing Team Panel confers in  
6 sidebar.)

7 HEARING OFFICE MOORE: Okay. Thank you. We  
8 want to clarify here a little bit. On Friday I believe,  
9 we received this request for special scheduling in the  
10 order of witnesses. And so this request is not  
11 consistent with that request. And I understand the need  
12 to have a flow and everything, but actually we've gone to  
13 great lengths here to accommodate folks's (sic) schedule.  
14 And so flow is not the most important thing to us. The  
15 most important thing, because all of the requests that  
16 were made and our juggling to try to accommodate  
17 schedules, is to go with what the Prosecution Team  
18 requested in the first place, which was to have Mr.  
19 Howard go first.

20 And we're growing a little impatient with all  
21 the different scheduling, because in order to accommodate  
22 your request we're going to have to have all the  
23 potential cross-examiners come up here and give us time  
24 estimates to meet the schedule that we're trying to meet  
25 today. So I would rather actually deny the request and

1 go according to the script that we put together based on  
2 everybody's input.

3           So is there any other -- any objections,  
4 comments on this proposed schedule? So one thing I want  
5 to make sure is, is Mr. Howard present?

6           WITNESS HOWARD: I'm here.

7           HEARING OFFICER MOORE: Is that you,  
8 Mr. Howard? Okay. Thanks for coming down from Ashland.

9           So let me get back on my script. So, for the  
10 purpose of scheduling this is a challenge. You heard  
11 there are nine different parties and we were trying to  
12 accommodate everybody's scheduling requests, you know?  
13 And we wanted to do that, but we don't want to have all  
14 these scheduling changes come up last minute like this.  
15 We're starting to get impatient.

16           So in terms of the scheduling for today, I  
17 anticipate taking a lunch break of about 60 minutes each  
18 day. Please keep this in mind as we get closer to the  
19 afternoon. We'll be looking to find a natural breaking  
20 point. We don't really want to cut people's testimony in  
21 half in the name a certain amount of flow to the  
22 schedule.

23           On subsequent hearing days we may begin earlier  
24 than 10:00 a.m. I'll announce any changes to the start  
25 time at the hearing at the end of the day. Each

1 afternoon we'll have a hard stop at 5:00 p.m., so plan on  
2 wrapping up each day around 4:45. Today, however, we  
3 will need to end at 4:30. If the hearing is still  
4 ongoing on Thursday, we will end early at 3:30 p.m. on  
5 Thursday. Please make a note of that. Today is 4:30,  
6 Thursday is 3:30, and the default time is 5:00.

7 Are there any other procedural issues that need  
8 to be addressed? Don't be shy. It's okay. You know,  
9 just the scheduling has been very challenging. Okay.

10 So at this point, because we didn't have any  
11 proposed policy statements, no blue cards were submitted  
12 for policy statements.

13 Now, I will invite appearances by the parties  
14 who are participating in the evidentiary portion of the  
15 hearing. Will those parties making an appearance please  
16 come up to the microphone, make sure it is on, and state  
17 your name, address and whom you represent, so that the  
18 court reporter can enter this information into the  
19 record. The court reporter would also appreciate  
20 receiving your business card if you have one with you, in  
21 order to facilitate correspondence.

22 So first Division of Water Rights Prosecution  
23 Team, Kenneth Petruzzelli.

24 MR. PETRUZZELLI: Kenneth Petruzzelli for the  
25 Division of Water Rights.

1 HEARING OFFICE MOORE: Okay. Oh, in the  
2 interest of time, yeah please queue up. And I had that  
3 order of the one through nine. Thank you, Mr.  
4 Petruzzelli. And then next is Marble Mountain Ranch,  
5 NMFS, DFW, Karuk, Old Man River, Klamath Riverkeeper,  
6 CSPA and PCFFA.

7 MS. BRENNER: Good morning. Barbara Brenner on  
8 behalf of Marble Mountain Ranch, Doug and Heidi Cole.  
9 Churchwell White is the law firm, 1414 K Street, 3rd  
10 Floor, Sacramento, 95814.

11 HEARING OFFICER MOORE: Thank you.

12 MS. BRENNER: And he has my card.

13 HEARING OFFICE MOORE: Great.

14 MR. KEIFER: Christopher Keifer with NOAA's  
15 Office of General Counsel for the National Marine Fishery  
16 Service, 501 West Ocean Boulevard, Suite 4470, Long  
17 Beach, California, 90802.

18 HEARING OFFICE MOORE: Thank you.

19 MR. PUCCINI: Good morning. Stephen Puccini  
20 and seated behind me Nathan Voegeli, for the Department  
21 of Fish and Wildlife, 1416 9th Street, Sacramento, 95819.

22 HEARING OFFICE MOORE: Thank you.

23 MR. PUCCINI: 95814, excuse me.

24 HEARING OFFICE MOORE: Oh, yeah. Make sure you  
25 get that zip code right. Thank you.

1           MR. HUNT: Hi again, Drevet Hunt. I'm with  
2 Lawyers for Clean Water here on behalf of the Karuk  
3 Tribe. My address is 1004-A O'Reilly Avenue, San  
4 Francisco, California, 94129.

5           HEARING OFFICE MOORE: Thank you.

6           MR. HUNT: Thank you.

7           MR. FISHER: Konrad Fisher for Old Man River  
8 Trust, P.O. Box 751 Somes Bar, California, 95568. Somes,  
9 S-o-m-e-s -- I see you shaking -- and B-a-r, separate  
10 word.

11           HEARING OFFICE MOORE: We're going to hear more  
12 about that place.

13   (Laughter.)

14           MR. FISHER: The attorney for Klamath  
15 Riverkeeper is not here. Would you like his name and  
16 address or do you want to save that?

17           HEARING OFFICE MOORE: Oh, that will be -- fine  
18 or I'm okay, yeah go ahead.

19           MR. FISHER: Paul Kibel, who will be here  
20 tomorrow, K-i-b-e-l, 2140 Shattuck Avenue, Suite 801,  
21 Berkeley, California, 94704.

22           HEARING OFFICE MOORE: Thank you for that.

23           MR. FISHER: Thank you.

24           HEARING OFFICE MOORE: And CSPA or PCFFA?  
25 That's okay, right. We'll just -- they'll introduce



1 themselves later, so they should be good.

2 MS. WEAVER: Yeah.

3 HEARING OFFICER MOORE: Okay. All right, very  
4 good. All right, at long last: opening statements,  
5 testimony, cross-examination and acceptance of evidence.

6 We will now here the Prosecution Team's opening  
7 statement and direct testimony from Joey Howard, followed  
8 by any cross-examination in the order I previously  
9 identified. Redirect and recross examination of Mr.  
10 Howard may then be permitted. If time permits, prior to  
11 the lunch break, we will hear Marble Mountain Ranch's  
12 opening statement followed by director testimony of their  
13 witness. But we'll see how the time goes.

14 So as soon as -- actually at this point we're  
15 having folks come up okay, so Prosecution Team and Mr.  
16 Howard. And then our Hearing Team, please assist folks  
17 as to where they should sit. And before we begin we're  
18 going to -- yeah, everybody who comes up has to swear to  
19 the oath. '

20 So at this time, Mr. Howard, will you please  
21 stand and raise your right hand?

22 LEONARD JOSEPH "JOEY" HOWARD  
23 called as a witness for the Petitioner, having  
24 been previously duly sworn, was examined and  
25 testified further as hereinafter set forth:

1 WITNESS HOWARD: Yes. I do.

2 HEARING OFFICE MOORE: Thank you. You may be  
3 seated.

4 Counsel, you may proceed and thank you for  
5 sticking to this proposed schedule.

6 MR. PETRUZZELLI: So my understanding is that I  
7 present my opening statement first; is that correct?

8 HEARING OFFICE MOORE: Yes.

9 MR. PETRUZZELLI: Okay.

10 HEARING OFFICE MOORE: That is. Oh, okay.  
11 Hold on a second. Okay. Yes. Please do as I read into  
12 the record.

13 (Slides uploaded to screen.)

14 HEARING OFFICER MOORE: It's times like this do  
15 you feel PowerPoint makes you feel powerless and  
16 pointless? Not always though. Thank you for your  
17 patience. Don't worry; your time hasn't started yet.

18 MR. PETRUZZELLI: Well, somebody has to go  
19 first.

20 HEARING OFFICER MOORE: Exactly.

21 MR. BUCKMAN: (Whispers) Just ask for the next  
22 slide and we'll figure it out. Is that all right?

23 MR. PETRUZZELLI: Okay. So I'll be asking for  
24 the next slide.

25 So okay, good morning. My name is Ken

1 Petruzzelli. I am an attorney with the Office of  
2 Enforcement and represent the Prosecution Team. We are  
3 here because the Diverters, Douglas and Heidi Cole and  
4 Marble Mountain Ranch, have diverted and continue to  
5 divert water in violation of Article 10, Section 2 of the  
6 California Constitution and Section 100 of the Water  
7 Code, which both provide that water rights are limited to  
8 using water that is reasonably necessary for beneficial  
9 use and shall never extend to the waste, unreasonable  
10 use, unreasonable method of use, or unreasonable method  
11 of diverting water. State Board regulations refer to  
12 this collectively as the misuse of water. And it's much  
13 less of a mouthful.

14 We request that the Board adopt an order  
15 finding the Diverters have misused water and continue to  
16 misuse water. We further request that the Board order  
17 corrective actions with a time schedule to eliminate the  
18 misuse. Next slide.

19 Marble Mountain Ranch is a commercial guest  
20 ranch. They offer activities such as horseback riding,  
21 hiking, white water rafting, kayaking, sport shooting and  
22 fly fishing. MMR is owned and operated by the family of  
23 Douglas and Heidi Cole. During the peak summer season  
24 with seasonal staff there may be up to 50 people at the  
25 ranch and 500 with a fire crew. The ranch has six

1 permanent residents. Next slide.

2 MMR is located at Highway 96 in Somes Bar in  
3 Siskiyou County. The POD is located on Stanshaw Creek, a  
4 tributary to the Klamath River, about three-quarters of a  
5 mile from Highway 96 on U.S. Forest Service property.  
6 They divert up to 3 cfs and convey that water through an  
7 unlined ditch about a half mile to MMR. There they use  
8 water for consumptive uses such as irrigation and  
9 domestic use, but mostly for hydropower. The hydropower  
10 effluent fills a pond, used for recreation and fire  
11 prevention and then discharges to Irving Creek, a  
12 downstream tributary to the Klamath River. Next slide,  
13 please.

14 The POD and ditch were originally constructed  
15 in the late 1860s. The POD is a handmade rock wing  
16 diversion dam. The ditch has a capacity of roughly 3  
17 cfs, but is prone to failure causing severe erosion and  
18 discharging pollutants back into Stanshaw Creek.

19 The POD has no fish screen and operates  
20 independent of demand with continuous diversion year-  
21 round at the maximum rate possible, but really only  
22 limited by the capacity of the ditch. The Diverters can  
23 regulate the diversion by restacking the rocks, but this  
24 is time and labor intensive. As a result, during low  
25 flow periods the Diverters have diverted all or most of

1 the flow of Stanshaw Creek. The hydropower effluent  
2 discharged into Irving Creek causes additional erosion at  
3 the outfall.

4 In addition, the Pelton wheel requires a  
5 minimum operating flow. As a result during low flow  
6 periods when the Diverters fail to adequately restrict  
7 their diversion, they may divert more water than  
8 necessary for their consumptive demands, but not enough  
9 to operate the Pelton wheel. This unused water flows  
10 through the Pelton wheel serving no beneficial use, but  
11 nonetheless causes continued erosion at the Irving Creek  
12 outfall.

13 At high flow periods with low occupancy the  
14 ranch may divert in excess of its demands, resulting in  
15 excess power generation. The diverters claim they need  
16 about 3 cfs to support their peak power demands. At  
17 lower flows they rely on a diesel generator. Next slide,  
18 please.

19 Stanshaw Creek is a tributary to the Klamath  
20 River, which was added to the Wild and Scenic River  
21 System in 1982. Next slide, please.

22 Stanshaw Creek has a short, but significant  
23 section of habitat for Coho salmon below the Highway 96  
24 crossing including an off-channel pool located just  
25 upstream with its confluence with the Klamath River.

1 Both juvenile Coho salmon and steelhead have been  
2 documented in Stanshaw Creek. This pool is filled by  
3 cold Stanshaw Creek water when high flows in the Klamath  
4 River subside, creating a high quality summer and winter  
5 rearing habitat for non-natal juvenile Coho salmon  
6 migrating down the Klamath River corridor.

7           The Water Quality Control Plan for the north  
8 coast region designates Stanshaw Creek as thermal refugia  
9 and requires special protections under its thermal  
10 refugia protection policy; in addition to other  
11 protections required for implementation of water quality  
12 objectives for temperature, sediment and other  
13 parameters. Next slide, please.

14           The Diverters divert under a pre-1914 claim of  
15 appropriation and a small domestic use registration. The  
16 registration is for a pond used for recreation and fire  
17 prevention. The two statements cover their pre-1914  
18 claim of appropriation, which originates from an 1867  
19 claim for about 15 cfs for mining, domestic use and  
20 irrigation. Since then the original property was  
21 subdivided, hydraulic mining ceased and the amount of  
22 water put to beneficial use diminished to less than 0.66  
23 cfs.

24           Starting around 1965, diversion substantially  
25 increased to support hydropower. Today, the Diverters

1 claim 3 cfs. Peak consumptive use has recently been  
2 estimated at 0.183 cfs and on supporting a fire camp,  
3 0.235 cfs. The Diverters use the remaining flow for  
4 hydropower. Next slide.

5 In July 2013, Division Enforcement staff  
6 received a complaint alleging the Diverters were  
7 dewatering Stanshaw Creek and harming public trust  
8 resources. In January 2014, Division Enforcement staff  
9 received a video documenting similar allegations. This  
10 was the video. And no?

11 HEARING OFFICE MOORE: Videos are always a risk  
12 on a state-run system.

13 MR. PETRUZZELLI: All right.

14 HEARING OFFICER MOORE: Oh. Though I  
15 appreciate it takes preparation to do that.

16 MR. PETRUZZELLI: If we can play the video,  
17 it's a great video. If not, we'll just go on to the next  
18 slide.

19 HEARING OFFICE MOORE: Right. Yeah, technical  
20 difficulties.

21 MR. PETRUZZELLI: Okay. Can we pause it?

22 HEARING OFFICE MOORE: What does the control  
23 room say? Having any -- they're conferring.

24 We should -- yeah, good. Stop the time, very  
25 good.

1 (Pause in proceedings.)

2 MR. PETRUZZELLI: And there's sound with the  
3 video too.

4 HEARING OFFICE MOORE: Yeah. You know, that's  
5 fine. For others who if you're planning to have videos  
6 in your PowerPoint you should probably confer with the  
7 audio-visual folks.

8 MS. IRBY: Was this also submitted as an  
9 exhibit?

10 MR. PETRUZZELLI: Yes.

11 MS. IRBY: Because we might be able to call it  
12 up by its exhibit number

13 MR. PETRUZZELLI: On -- yeah, it was submitted  
14 as an exhibit. If you -- if we go to the exhibit page I  
15 can find it. I don't recall the exhibit number off the  
16 top of my head.

17 MS. BRENNER: So just if I could have one  
18 moment? I would like to actually object to the use of  
19 this video --

20 COURT REPORTER: I need you to come to a  
21 microphone, ma'am. Sorry.

22 MS. BRENNER: Sure. I would actually object to  
23 the use of this video. This is a video that hasn't been  
24 authenticated by the Prosecution Team. We objected to it  
25 as part of their exhibit list. It's not been taken by



1 any of the Regional Board or State Water Board staff. It  
2 was taken by somebody else and so we don't have -- it  
3 hasn't been authenticated.

4 MR. PETRUZZELLI: Shall the Prosecution Team  
5 respond?

6 HEARING OFFICE MOORE: Yeah. Well, we actually  
7 ruled on that, that it was part of the public record on  
8 October 31st. So it will be included as part of the  
9 overall record, so I shall overrule that. But it is true  
10 that it wasn't authenticated.

11 (Exhibit WR-75: Video playback begins.)

12 "Here we have Stanshaw Creek above the point of  
13 diversion. Here is the point of diversion, the majority  
14 of the water going down the diversion ditch, only that  
15 which leaks going down the main channel to Stanshaw Creek  
16 and then the river. Here we see Stanshaw Creek to the  
17 right and the diversion ditch on the left."

18 "Here we can see the diversion ditch on the  
19 left, Stanshaw Creek on the right along with a "no  
20 trespassing" sign on Forest Service land. Following the  
21 diversion ditch to the actual point of diversion, we see  
22 the diversion ditch on the left. I'm sorry, the  
23 diversion ditch on the right, Stanshaw Creek on the left,  
24 which gets a little bit of water that leaks out of the  
25 diversion dam."

1                   "Here we can see the diversion ditch  
2 approximately 50 yards from the point of the point of  
3 diversion. In the shot, we also see the trail used to  
4 maintain the ditch and three large trees that have been  
5 cut down to maintain the ditch. These are three of  
6 several. Here we have the diversion ditch again and a  
7 flume that would be good for measuring flow and one of a  
8 few areas where the diversion ditch has caused mudslides  
9 into Stanshaw Creek. You see the diversion ditch and  
10 repairs made on another mudslide into Stanshaw Creek;  
11 another mudslide that hasn't been repaired or shored up."

12                   "Here we see a portion of the diversion ditch  
13 that has been worked on with heavy equipment."

14                   "Here we see a pipe historically used to divert  
15 water to lands initially claimed by Sam Stanshaw for  
16 mining."

17                   "Here is an unused diversion ditch that is near  
18 the intersection of Highway 96 and Stanshaw Creek. And  
19 here you can see the highway through the trees."

20                   "This is Stanshaw Creek close to where it  
21 should be meeting the Klamath River. And here we see  
22 Stanshaw Creek forming a pool near its former confluence  
23 with the Klamath River. And on the left side of the pool  
24 we see an area where the creek should be reaching the  
25 river if there was enough water coming down the creek

1 filling the pool. And there we see the Klamath River."

2 "This location should be the confluence of  
3 Stanshaw Creek and the Klamath River."

4 (Exhibit WR-75: Video playback ends.)

5 MR. PETRUZZELLI: Okay. And can we get the  
6 PowerPoint back, please?

7 (Slides uploaded to screen.)

8 MR. PETRUZZELLI: Thank you. So then in  
9 December 2014, Enforcement staff attended a stakeholder  
10 meeting in Orleans to discuss a recent water right report  
11 and potential grants for the Diverters to improve their  
12 diversion works.

13 At the meeting Enforcement staff were informed  
14 of fish kills in the cold water pool. Division staff  
15 followed up with NMFS and the Karuk Tribe to learn more  
16 about the fish kills, hydrologic conditions in Stanshaw  
17 Creek and flows that would be necessary to protect public  
18 trust resources. Next slide.

19 On February 12th, 2015 Enforcement staff from  
20 the Division and the Regional Board conducted a site  
21 inspection. They observed the POD ditch and Irving Creek  
22 outfall as well as other areas. They measured flow at  
23 different locations in the ditch system and observed  
24 evidence of failures of the ditch and erosion at the  
25 Irving Creek outfall. Next slide, please.

1           NMFS has recommended flows for Stanshaw Creek.  
2 The flow recommendation was designed to be protective of  
3 Coho salmon by preserving the cold water pool at the  
4 confluence of the Klamath River. It applies to all  
5 diverters year-round. The instream flow recommendation  
6 requires diverters to bypass 90 percent of unimpaired  
7 flow. When diversions for hydropower are occurring,  
8 diverters may comply with this bypass flow by returning  
9 their hydropower tail water back to Stanshaw Creek above  
10 the point of anadromy, so long as they bypass 2 cfs at  
11 the POD.

12           In the course of the investigation, Enforcement  
13 staff identified two other diverters in the Stanshaw  
14 Creek watershed. After consultation with NMFS, MMR was  
15 deemed the only diversion of significance.

16           DFW has stated that the NMFS recommendation is  
17 scientifically sound. DFW has also issued a Draft  
18 Streambed Alteration Agreement requiring the Diverters to  
19 implement the NMFS bypass flow and substantially other  
20 measures in the proposed draft order that we'll speak to  
21 briefly.

22           On August 4, 2016 the Regional Board issued a  
23 Cleanup and Abatement Order -- the next slide, please --  
24 to address the Diverters water quality violations. Even  
25 with the water right, there is never a vested right to

1 discharge waste. The Diverters filed a petition for  
2 reconsideration with the State Board, but the State Board  
3 took no action and the Diverters have filed no legal  
4 challenges to the CAO. Since issuing the CAO the  
5 Regional Board has issued three notices of violation.  
6 Next slide, please.

7 Under Article 10, Section 2 and Water Code  
8 Section 100 there is never a right to misuse water or  
9 divert more water than reasonably necessary for  
10 beneficial use. The doctrine of reasonable use is self-  
11 executing. It applies all the time and to all use of  
12 water regardless of the basis of right. And it's  
13 mutable. What constitutes a reasonable use at one time  
14 may, due to changing conditions, constitute a misuse  
15 later. Statutes and regulations, like the Frost  
16 Protection regulations for the Russian River, can set per  
17 se standards of reasonableness. Next slide.

18 A separate but related doctrine is a Public  
19 Trust Doctrine. The protection of recreational and  
20 ecological values are among the purposes of public trust.  
21 The Public Trust Doctrine prevents any party from  
22 acquiring a vested right to divert or use water in a  
23 manner harmful to the interests protected by the public  
24 trust.

25 As Trustee, the state must preserve public

1 trust property from harmful diversions whenever feasible.  
2 The Public Trust Doctrine must conform to the Doctrine of  
3 Reasonable Use. However, these doctrines interact,  
4 because a diversion that is harmful to public trust  
5 resources can constitute a misuse of water. Next slide,  
6 please.

7           The State Board has the authority under Article  
8 10, Section 2 to prevent the misuse of water regardless  
9 of the basis of right. Under Water Code Section 275 the  
10 State Board shall take all appropriate actions to prevent  
11 the misuse of water. If an investigation indicates  
12 misuse has occurred staff must notify the interested  
13 person and allow a reasonable amount of time for that  
14 person to either eliminate the misuse or demonstrate that  
15 no misuse has occurred.

16           If, at the end of that time the misuse is  
17 continuing, a hearing may be requested. After a hearing,  
18 the Board may issue an order requiring the prevention or  
19 termination of the misuse. Next slide, please.

20           This investigation was conducted as part of the  
21 State Board's continuing authority to prevent the misuse  
22 of water. On December 3rd, 2015 staff notified the  
23 Diverters it believed misuse was occurring. The  
24 Diverters subsequently proposed a time schedule and  
25 milestones to eliminate the misuse by June 30, 2018.

1 Staff then gave the Diverters until then to eliminate the  
2 misuse, but this was two to three years out and the  
3 issues with this water right has been continuing for many  
4 years. Staff did not want to revisit this in 2018 and  
5 see no progress. Instead, they set an interim deadlines  
6 based on a time schedule the Diverters proposed and  
7 requested a hearing date 90 to 120 days after the first  
8 milestone. If the Diverters met the milestone parties  
9 could request a postponement. This would avoid further  
10 delay in eliminating the misuse. The milestones have not  
11 been met. Next slide, please.

12           So for key issue one -- next slide -- evidence  
13 will show misuse has occurred and continues to occur.  
14 Evidence will also show the misuse threatens public trust  
15 resources. MMR has no diversion measurement compliant  
16 with SB 88, which for them requires measurement every  
17 hour. They have no fish screen. The ditch failures  
18 discharge waste into Stanshaw Creek. Hydropower effluent  
19 and sediment discharge in to Irving Creek. The Diverters  
20 cannot reasonably regulate their diversion to ensure all  
21 the water they divert is put to beneficial use. And  
22 neither can they regulate their diversion to avoid  
23 harming public trust resources. Next slide, please.

24           For key issue two -- next slide -- the Draft  
25 Order recommends a variety of corrective actions, so the

1 Diverters can adequately control their diversion and  
2 avoid impacting public trust resources. The Draft Order  
3 also recommends actions to bring the Diverters into  
4 compliance with diversion measurement and reporting  
5 requirements. Next slide, please.

6           The other part of key issue two is whether an  
7 order should coordinate with requirements in the CAO. It  
8 must. The CAO is a final order. Its findings, time  
9 schedule, and corrective actions are no longer subject to  
10 review or judicial challenge. Evaluating compliance with  
11 the CAO and enforcing the CAO should be left to the  
12 Regional Board. If the State Water Board issues an  
13 implementation time schedule for corrective actions it  
14 must coordinate with the CAO to avoid imposing  
15 inconsistent obligations on the Diverters. The Division  
16 and the Regional Board have worked together to coordinate  
17 their enforcement efforts on MMR since beginning the  
18 current enforcement action, because we believed that by  
19 coordinating we could maximize the effectiveness of our  
20 respective authorities and areas of expertise for  
21 stronger, more effective, and more timely enforcement.

22           Coordination and cooperation extended to NMFS,  
23 DFW and the Karuk Tribe. To our knowledge, this level of  
24 coordination and cooperation is unprecedented in Water  
25 Board enforcement. We ask that you take the same



1 approach today. Thank you.

2 HEARING OFFICE MOORE: Thank you,

3 Mr. Petruzzelli.

4 At this time, there's still some time left as  
5 we discussed. On our sequence of orderly proceedings  
6 next will be the Prosecution Team's direct testimony of  
7 Joey Howard. And we've budgeted 20 minutes for this.

8 MR. PETRUZZELLI: So the Prosecution Team was  
9 planning on -- we were budgeting 50 minutes for our  
10 remaining witnesses. So I'm trying to keep Mr. Howard  
11 pretty brief. And I'd like to reserve my remaining -- I  
12 believe I'm allowed to reserve my remaining time in my  
13 opening statement for that?

14 HEARING OFFICE MOORE: Yes, you may. Thanks.

15 JEAN MCCUE: Are you asking for less than 20  
16 minutes on the clock to . . . ?

17 MR. PETRUZZELLI: So I want to be sure, because  
18 I know that my remaining witnesses are roughly 50  
19 minutes. So I'm trying to keep Joey -- so to stay within  
20 the total for our hour I'd like to keep Joey at 10. He's  
21 an adverse witness even though he's a very nice  
22 gentleman.

23 (Laughter)

24 MR. PETRUZZELLI: So I may need a little  
25 latitude with him. I'll ask for that if I need it, just

1 for some of the people here who don't necessarily  
2 understand the technical description of an adverse  
3 witness.

4 HEARING OFFICE MOORE: Okay. We'll put 10  
5 minutes on the timer.

6 DIRECT EXAMINATION BY

7 MR. PETRUZZELLI: So Mr. Howard, starting out  
8 I'd like to ask you about some of your professional  
9 background. Can you state your name, please?

10 WITNESS HOWARD: My name is Leonard Joseph  
11 Howard.

12 MR. PETRUZZELLI: Okay. And are you the  
13 principal for Cascades Stream Solutions, LLC?

14 WITNESS HOWARD: I am

15 MR. PETRUZZELLI: And can you state the address  
16 for that business, please?

17 WITNESS HOWARD: 2704 Clay Creek Way, Ashland,  
18 Oregon, 97520.

19 MR. PETRUZZELLI: Okay. And can you briefly  
20 summarize your education and training?

21 WITNESS HOWARD: I have a bachelor's degree in  
22 civil engineering from UC Irvine. I have a master's  
23 degree from UC Davis. My master's work was river  
24 engineering and fluvial geomorphology.

25 MR. PETRUZZELLI: Okay. Do you have any

1 professional licenses and can you state those?

2 WITNESS HOWARD: I am registered as a  
3 professional engineer in both Oregon and California. And  
4 I've held those licenses for over 20 years now.

5 MR. PETRUZZELLI: Okay. Thank you. And is it  
6 correct that you primarily perform engineering services  
7 for, you know, restoration projects?

8 WITNESS HOWARD: Correct. Fish passage and  
9 fish screen and restoration, yes.

10 MR. PETRUZZELLI: Okay. Thank you. So and did  
11 you perform -- do you perform a significant amount of  
12 work in the MMR region?

13 WITNESS HOWARD: I do. I would say about 50  
14 percent of my projects are within Siskiyou County.

15 MR. PETRUZZELLI: Okay. And have you been out  
16 to MMR?

17 WITNESS HOWARD: Yes, I have.

18 MR. PETRUZZELLI: Okay. And about how many  
19 times?

20 WITNESS HOWARD: I don't know this, the exact  
21 number, but I believe I've been out there about five  
22 times.

23 MR. PETRUZZELLI: Okay. So, roughly total how  
24 much time would you estimate?

25 WITNESS HOWARD: I spent the night out there

1 one night, so worked -- I would say that probably on the  
2 ground I would guess that I've been out there for over 20  
3 hours.

4 MR. PETRUZZELLI: Okay. So I'd like to ask you  
5 about the Cascade Stream Solution's technical report.  
6 It's Exhibit 82 from the Prosecution Team and could we  
7 cue that up?

8 (Exhibit WR-82 displayed on screen.)

9 MR. PETRUZZELLI: So did you prepare this  
10 report?

11 WITNESS HOWARD: Yes, sir.

12 MR. PETRUZZELLI: And what was the purpose of  
13 this report?

14 WITNESS HOWARD: It was to assist Martha  
15 Lennihan as part of a Coho enhancement grant that was  
16 executed through the Mid Klamath Watershed Council. And  
17 we were trying to identify the amount of water that was  
18 currently being put to beneficial use.

19 MR. PETRUZZELLI: And was also a part of the  
20 purpose of this water right report to identify a water  
21 right to then support additional grant fundings that the  
22 Coles could use to improve their diversion works?

23 WITNESS HOWARD: Yes, sir.

24 MR. PETRUZZELLI: Okay. And what were some of  
25 the sources of information for your report?

1                   WITNESS HOWARD:  There were numerous sources.  
2  They --

3                   MR. PETRUZZELLI:  I'll be -- actually, I  
4  apologize.  I'll be a little briefer.  Did a substantial  
5  amount of the information for the report come from Mr.  
6  Cole or people associated with Mr. Cole?

7                   WITNESS HOWARD:  Correct.

8                   MR. PETRUZZELLI:  Okay.  So in the report, you  
9  -- I think this is your exact statement.  It's on page 6.  
10  You state that the amount diverted typically varies with  
11  available stream flow, independent of demand.  What do  
12  you mean by that?

13                  WITNESS HOWARD:  I meant that to my  
14  understanding from Mr. Cole, they maintain the diversion  
15  dam.  During high winter flows, they may try to take the  
16  dam down, so that there is not substantial flow going  
17  down the ditch and damaging it.  But otherwise, they  
18  would maintain that dam in place and it would divert for  
19  the most part all the flow that did not over top or seep  
20  through.

21                  MR. PETRUZZELLI:  Okay.  So if they had less  
22  demand they didn't just turn a switch and lower their  
23  diversion?

24                  WITNESS HOWARD:  Correct.

25                  MR. PETRUZZELLI:  They just had one --

1           WITNESS HOWARD: To the best of my knowledge,  
2 correct. That is correct.

3           MR. PETRUZZELLI: So and I'd like to ask you  
4 about their hydropower diversion too. Do they measure  
5 their power generation?

6           WITNESS HOWARD: To the best of my knowledge,  
7 no.

8           MR. PETRUZZELLI: Okay. Do they measure their  
9 power consumption?

10          WITNESS HOWARD: To the best of my knowledge,  
11 no.

12          MR. PETRUZZELLI: Okay. Does -- and they  
13 operate -- they generate power with a Pelton wheel?

14          WITNESS HOWARD: Correct.

15          MR. PETRUZZELLI: Okay. Does a Pelton wheel  
16 have a minimum operating threshold?

17          WITNESS HOWARD: It's my belief that it does.

18          MR. PETRUZZELLI: Okay. Do you know roughly  
19 what it is?

20          WITNESS HOWARD: No, I don't. But I believe  
21 that it's probably about 20 kilowatts.

22          MR. PETRUZZELLI: Okay. Do you know what --  
23 roughly what the minimum flow is to operate that?

24          WITNESS HOWARD: My understanding was that it  
25 requires approximately -- and I might have this number

1 off by a few tenths, but about 2.3 to 2.5 cfs to provide  
2 enough power to operate the ranch when there are guests  
3 present.

4 MR. PETRUZZELLI: Okay. And when they have  
5 lower power demands do they, say restrict their diversion  
6 to limit generation to what they actually need at that  
7 time?

8 WITNESS HOWARD: It's my understanding that  
9 when they have a lower -- when they have a lower demand  
10 they burn the -- they generate heat with the water to  
11 burn off that extra energy.

12 MR. PETRUZZELLI: Okay. So since they have  
13 difficulty regulating their diversion, when you were out  
14 doing your visits did you ever observe them diverting  
15 more than they needed for their use at the time, but less  
16 than the operating threshold of the Pelton wheel?

17 WITNESS HOWARD: I did. On one visit they were  
18 running their diesel generator. And so they were  
19 diverting, I guess the amount of water, but it wasn't  
20 sufficient to power their operations. So at the time  
21 they were unable both generate power and combine the  
22 power with the diesel generator with the hydropower, if  
23 that makes sense. And so it's a binary system in the  
24 sense that if there's not sufficient hydropower then they  
25 no longer run the hydropower and they just run the diesel

1 generator. They were diverting water for both  
2 consumptive use for domestic and for other uses and  
3 feeding their pond. And the excess water was going to  
4 Stanshaw Creek and they were not generating.

5 MR. PETRUZZELLI: So was the excess water going  
6 to Stanshaw Creek or Irving Creek?

7 WITNESS HOWARD: Oh, I'm sorry, thank you for  
8 correcting me. Irving.

9 MR. PETRUZZELLI: Okay. So it's not an  
10 interconnected system?

11 WITNESS HOWARD: The return flows do not return  
12 --

13 MR. PETRUZZELLI: So I mean, the power system  
14 is not interconnected?

15 WITNESS HOWARD: That's if -- by that they are  
16 separate systems where you can only have one source of  
17 generation, power generation.

18 MR. PETRUZZELLI: Yeah, and I'd like to ask you  
19 about the quote from the electrician. I think it's  
20 Exhibit WR-157 on Page 84. Do you recall whether this  
21 would have been an interconnected system?

22 WITNESS HOWARD: I'm sorry; I don't know how to  
23 respond to this. Oh, about Pavel's?

24 MR. PETRUZZELLI: Yes.

25 WITNESS HOWARD: Okay. So my understanding,



1 and I guess I'm not sure I'm using the proper definition  
2 of interconnected although I can see it right there, is  
3 that we were -- at the time what we were trying to do is  
4 to combine the power sources, so that you could use both  
5 sources at the same time and add that to the grid.

6 MR. PETRUZZELLI: Right. So it would operate  
7 together with the hydro and solar, the battery and the  
8 propane generator?

9 WITNESS HOWARD: Yes, sir.

10 MR. PETRUZZELLI: Yeah. And would this type of  
11 system probably allow them to divert water at a lower  
12 overall rate and still meet their power demands?

13 WITNESS HOWARD: Yes. That was the point of  
14 that.

15 MR. PETRUZZELLI: Okay. Moving on, I'd like to  
16 ask you about the six-inch pipe project. Do you recall  
17 this project?

18 WITNESS HOWARD: Yes, sir.

19 MR. PETRUZZELLI: Okay. And did you perform  
20 engineering work for that project?

21 WITNESS HOWARD: Yes, sir.

22 MR. PETRUZZELLI: Okay. And is it correct that  
23 the six-inch pipe size was chosen, because it was  
24 considered sufficient for their consumptive use demands?

25 WITNESS HOWARD: That's correct.

1 MR. PETRUZZELLI: Okay, but not their  
2 hydropower?

3 WITNESS HOWARD: That is correct.

4 MR. PETRUZZELLI: Okay. And this would have  
5 been funded through a grant?

6 WITNESS HOWARD: Yes, sir.

7 MR. PETRUZZELLI: Okay.

8 WITNESS HOWARD: It was funded. To the best of  
9 my knowledge, it was funded. And then we pulled the  
10 grant.

11 MR. PETRUZZELLI: Okay. And I'd like to ask  
12 you about the construction characteristics of the pipe.  
13 Would it have included a fish screen?

14 WITNESS HOWARD: Yes. We did have a passive  
15 fish screen.

16 MR. PETRUZZELLI: Okay. And a diversion  
17 control mechanism?

18 WITNESS HOWARD: Yes, sir.

19 MR. PETRUZZELLI: Okay. And could this  
20 mechanism have been controlled remotely from the ranch?

21 WITNESS HOWARD: The mechanism, as we had  
22 devised it, was not. It was a manual valve.

23 MR. PETRUZZELLI: Okay. So they actually would  
24 have had to go out and --

25 WITNESS HOWARD: And turn it on, turn it off.

1           MR. PETRUZZELLI: Okay. And did you refine the  
2 consumptive use estimates for the six-inch pipe from what  
3 you did in the initial Cascades Streams Solutions Report  
4 that was done for the Lennihan's?

5           WITNESS HOWARD: I did. I worked with -- yes,  
6 I did.

7           MR. PETRUZZELLI: Okay. And I'd like to ask  
8 you about exhibit -- and that's reflected in -- and that  
9 was through correspondence with Mr. Skyler Anderson?

10          WITNESS HOWARD: Yes, sir.

11          MR. PETRUZZELLI: Okay. I'd like to ask you  
12 about WR-177. Actually I see we're --

13          HEARING OFFICE MOORE: Yeah. We're right at  
14 ten minutes now.

15          MR. PETRUZZELLI: Okay. I'd like just a  
16 moment.

17          HEARING OFFICE MOORE: Okay.

18          MR. PETRUZZELLI: Do you recall the revised  
19 numbers for this demand calculation, was it roughly --

20          MS. WEAVER: We'll reset the clock.

21          MR. PETRUZZELLI: Okay.

22          MS. WEAVER: And then keep going.

23          MR. PETRUZZELLI: Okay.

24          MS. WEAVER: Do you want five minutes?

25          MR. PETRUZZELLI: I'd only like maybe a couple

1 of minutes.

2 MS. WEAVER: Okay, so two.

3 (Pause to set timer.)

4 MR. PETRUZZELLI: Okay. So and do you recall  
5 that the number for consumptive use, peak use, under  
6 normal conditions was roughly 0.183 cfs?

7 WITNESS HOWARD: Yes, sir.

8 MR. PETRUZZELLI: And if they were hosting a  
9 fire crew, 0.235?

10 WITNESS HOWARD: Yes, sir.

11 MR. PETRUZZELLI: And that was consumptive  
12 uses: domestic, irrigation?

13 WITNESS HOWARD: That's correct.

14 MR. PETRUZZELLI: Okay. And for peak use?  
15 Peak use, so summer season probably.

16 WITNESS HOWARD: Yes.

17 MR. PETRUZZELLI: Okay. So would a smaller  
18 pipe than six inches have been sufficient for this  
19 demand?

20 WITNESS HOWARD: In my opinion, it would be  
21 problematic, because you could get that flow through  
22 there, but it would require allowing -- this can get  
23 difficult, but it's a siphon effect through the pipe.  
24 And in that setting, I think that that would be extremely  
25 challenging and not fair to the water user.

1 MR. PETRUZZELLI: So was this for the 0.18 --  
2 0.235 amount?

3 WITNESS HOWARD: Yes, sir.

4 MR. PETRUZZELLI: Or for the amount that it was  
5 revised from?

6 WITNESS HOWARD: It was for the -- we could  
7 have gotten the higher amount of about a quarter cfs  
8 through that.

9 MR. PETRUZZELLI: Okay. All right, so that's -  
10 - those are my questions for Mr. Howard.

11 HEARING OFFICE MOORE: Okay. And we want to  
12 allow then cross-examination. Is that right? Yeah, so  
13 it's the next step. So I want to afford the Marble  
14 Mountain Ranch the opportunity to cross-examine the  
15 witness.

16 MS. BRENNER: Good morning.

17 HEARING OFFICE MOORE: All right, good morning.  
18 We're going to switch your name tag out there.

19 (Laughter.)

20 MR. PETRUZZELLI: I didn't even know it was  
21 there.

22 HEARING OFFICE MOORE: We run a tight ship.  
23 All right, very good.

24 MS. BRENNER: Thank you.

25 ///

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CROSS-EXAMINATION BY

MS. BRENNER: Thank you. Okay, good morning.

Hi, Joey.

WITNESS HOWARD: Hello.

MS. BRENNER: Joey, when you first came to Marble Mountain Ranch was (sic) the Coles working cooperatively with you?

WITNESS HOWARD: Yes.

WITNESS HOWARD: When did you visit Marble Mountain Ranch?

WITNESS HOWARD: I don't recall the exact dates, but I believe the first time was about 2014.

MS. BRENNER: And they -- do you remember each time period, do you remember -- can you give me just some time sense of when you were there the dates or at least some sense of the time periods?

WITNESS HOWARD: Okay. I went during their off season, so they didn't have guests. I believe I went probably in the spring and the fall. And --

MS. BRENNER: Of 2014?

WITNESS HOWARD: Of 2014. I also had attended, I believe in 2015, before I stopped working on the physical solutions. And I had gone there another time to do a survey. We did a profile of the ditch, so I apologize. I don't have a --

1 MS. BRENNER: And each time you were there, the  
2 Coles cooperated with you?

3 WITNESS HOWARD: Yes, ma'am.

4 MS. BRENNER: Answered all your questions?

5 WITNESS HOWARD: Yes.

6 MS. BRENNER: Provided any information you  
7 needed?

8 WITNESS HOWARD: To the best of their ability,  
9 yes.

10 MS. BRENNER: Did the -- did you participate in  
11 the stakeholder process that was ongoing from over 20  
12 years?

13 WITNESS HOWARD: I did.

14 MS. BRENNER: Did the Coles participate in that  
15 process as well?

16 WITNESS HOWARD: Yes.

17 MS. BRENNER: Voluntarily came to the meetings?

18 WITNESS HOWARD: To the best of my knowledge,  
19 yes.

20 MS. BRENNER: Was there ever a physical  
21 solution concluded by the stakeholder process?

22 WITNESS HOWARD: At one time, Will Harling, of  
23 Mid Klamath Watershed Council and I worked together. We  
24 developed a six-inch pipe solution that was -- it was  
25 debatable as to whether it was going to be the end

1 solution or not. But we did come up with a measure and  
2 then the scope changed or continued to change and I left  
3 the project.

4 MS. BRENNER: Did that six-inch pipe -- it was  
5 grant funded, correct?

6 WITNESS HOWARD: That was correct.

7 MS. BRENNER: And what were the conditions on  
8 that grant funding, do you recall?

9 WITNESS HOWARD: I don't recall all the  
10 conditions, but I believe that locked the Marble Mountain  
11 Ranch into -- that would all -- all that would be paid  
12 for was the six-inch pipe and that if they wanted -- I  
13 don't -- I think they might have had to give up their  
14 right to divert additional water for power or install  
15 additional pipe. But I could be mistaken about that.

16 MS. BRENNER: So is your best recollection that  
17 the grant funding was contingent upon the Coles giving up  
18 a majority of their water right?

19 WITNESS HOWARD: It was my understanding that  
20 they were going to be putting water to beneficial use and  
21 consumptive use and no longer diverting the amount that  
22 they were using for hydropower. Whether that's giving up  
23 their water right or not, that's for others to decide.

24 MS. BRENNER: Okay. But that was certainly a  
25 contingency?



1                   WITNESS HOWARD: That was my understanding.

2 But again, I'm just the guy who calculates things.

3                   MS. BRENNER: (Laughter.) Do you have any  
4 idea, a rough estimate for the costs associated with the  
5 permitting, design and construction work for the return  
6 of water use for hydroelectric power generation back to  
7 Stanshaw Creek?

8                   WITNESS HOWARD: We looked at it and just did  
9 rough numbers. But it was quite expensive, because it  
10 dealt with putting water down a Caltrans right-of-way  
11 that also had a fiber-optic line and had bedrock. And so  
12 it wouldn't be surprising to see that it was in excess of  
13 several hundred thousand dollars, probably a minimum of  
14 \$500,000.

15                  MS. BRENNER: And it wouldn't be surprising  
16 it'd be in excess of \$1 million?

17                  WITNESS HOWARD: I -- that would seem -- I  
18 don't have the information to say, but it could be that  
19 much I guess.

20                  MS. BRENNER: Why did you leave the project?

21                  WITNESS HOWARD: I work on -- I did not feel  
22 like the project was meeting the intent of the grant,  
23 which was to provide a mutually beneficial solution that  
24 would assist the habitat needs as defined by others and  
25 the needs of Marble Mountain Ranch. And so I terminated

1 my contract and I did not accept any money for any of the  
2 work that I did following my work with Martha Lennihan.

3 MS. BRENNER: Did you review the Regional  
4 Board's Cleanup and Abatement Order at some point?

5 WITNESS HOWARD: I did.

6 MS. BRENNER: Did you find it possible to  
7 comply with that order?

8 WITNESS HOWARD: Given the conditions and the  
9 money that we had to deal with I did not see a way that I  
10 could assist with that.

11 MS. BRENNER: Are you aware of any release of  
12 the diverted water off the ditch and back into Stanshaw  
13 Creek, as part of the ditch system?

14 WITNESS HOWARD: Yes. There are areas where  
15 water returns.

16 MS. BRENNER: Did you ever measure the Pelton  
17 wheel capacity?

18 WITNESS HOWARD: I did not take a physical  
19 measurement of the Pelton wheel capacity. I did measure  
20 the ditch flow with Mr. Cole while the Pelton wheel was  
21 operating. And I believe we measured it to be slightly  
22 over 2.5 cfs.

23 MS. BRENNER: Okay. Did you have any idea of  
24 the cost of creating the interconnected energy system  
25 that was described earlier by you?

1 WITNESS HOWARD: I did see estimates from  
2 Pavel, he's an -- his company's called The Electrician.  
3 And then I also saw one by a gentleman by the name of --  
4 with the first name Hal, but I forget his last name. And  
5 in general those estimates were in the order of about  
6 500,000 or more.

7 MS. BRENNER: 500,000 or more?

8 WITNESS HOWARD: Yeah, about there.

9 MS. BRENNER: I don't have anything further.

10 HEARING OFFICE MOORE: All right. Thank you,  
11 Counselor.

12 Next for cross-examination with the National  
13 Marine Fisheries Service. Do you have any questions for  
14 the witness?

15 MR. KEIFER: No questions.

16 HEARING OFFICE MOORE: Thank you.

17 Next, California Department of Fish and  
18 Wildlife.

19 MR. PUCCINI: No questions, thank you.

20 HEARING OFFICE MOORE: Thank you.

21 Karuk Tribe?

22 MR. HUNT: No questions.

23 HEARING OFFICE MOORE: Thank you.

24 Old Man River Trust?

25 MR. FISHER: (Indiscernible)

1 HEARING OFFICE MOORE: Yes. Please approach  
2 the bench and then we'll switch out the name plate.

3 CROSS-EXAMINATION BY

4 MR. FISHER: Thank you, Joey. I just want to  
5 reaffirm you did not -- did you or did you not calculate  
6 electricity needs and consumption in your report?

7 WITNESS HOWARD: I calculated the potential to  
8 generate power. However, there are some -- and stop me  
9 if I'm going too far into this, but there's a couple of  
10 things. One is there is just a basic calculation where  
11 you can assume efficiencies for a Pelton wheel, but  
12 there's also things in terms of the grid and the  
13 efficiency of the grid. By the way, I'm not an  
14 electrical engineer. I can calculate hydropower, but in  
15 terms of the electrical stuff, that is beyond my  
16 expertise.

17 MR. FISHER: Okay. So like home power needs or  
18 the needs to meet specific needs in specific buildings,  
19 you did not.

20 WITNESS HOWARD: I did not. We did make an  
21 estimate of those; however, it's also the efficiency of  
22 the grid that was commented by other professionals that  
23 limited, so basically, you would lose power through that  
24 system.

25 MR. FISHER: Okay. And you just said, "We did

1 make an estimate of those," when I was referring to uses  
2 in home, was that -- who was we?

3 WITNESS HOWARD: "We" was Will and I believe  
4 Pavel and I, we made an estimate. We didn't publish any  
5 of that. We didn't report on that.

6 MR. FISHER: Okay. And was your evaluation  
7 confined to systems that rely on the current point of  
8 diversion, or did you evaluate alternatives such as hydro  
9 systems that use more head on a higher point of diversion  
10 or such as solar, or was it limited to current point of  
11 diversion?

12 WITNESS HOWARD: It was -- the short answer is  
13 that it was limited to the -- well, the power  
14 consumption, how much power was independent of the source  
15 of the power. However, you had requested that we look at  
16 if we moved the point of diversion upstream, so that we  
17 could generate more head. And we -- I looked at it and I  
18 respectfully thought that it would be too challenging.  
19 Not to say that it wouldn't be, but in my opinion it was  
20 too challenging due to the nature of the stream and the  
21 fact that we would have to cut in a new route for that  
22 water or for that line to go.

23 MR. FISHER: So you ruled that option out?

24 WITNESS HOWARD: We did rule that option out.  
25 Yes.

1                   MR. FISHER: Based on having to cut out the  
2 hillside, based on --

3                   WITNESS HOWARD: Based on a few things. One is  
4 that, that stream in my opinion is subject to debris  
5 flows. And so moving up in the system it would be an  
6 expensive to do was one. Two, there was some permitting  
7 issues with the Forest Service that -- I'm not involved  
8 in the permitting, but it was relayed to me by others  
9 that that would be a challenge. And then we would have  
10 to find a place to put that, a line, and we would have to  
11 somehow get that line down the steep canyon.

12                  MR. FISHER: Okay. For the solution you did  
13 evaluate would you not also -- wouldn't you have also had  
14 to obtain permitting and put a line and kind of a lot of  
15 those same things?

16                  WITNESS HOWARD: It -- again I'm not an expert  
17 on permitting. I just provide support. So it was my  
18 understanding at the time, and I could be wrong, was that  
19 basically they already had a right. So the permits were  
20 really mainly based on erosion control, best management  
21 practice permits. There was a 1600 permit that involves  
22 alteration to stream bed or bank and some other issues.  
23 But the path to permitting as I understood it, and again  
24 I could be mistaken, was going to be simplified by using  
25 the current point of diversion.

1           MR. FISHER: Okay. So we've established that  
2 you ruled out a higher point of diversion. How about  
3 solar, did you evaluate solar potential?

4           WITNESS HOWARD: That was part of -- was going  
5 to be part of the solution. That I terminated my  
6 contract, so basically I wasn't paid. And I did not  
7 issue any documents with my stamp on them associated with  
8 that. But we were looking at that and that was basically  
9 what we were planning on doing.

10          MR. FISHER: Okay. So you were planning to  
11 evaluate maybe a stand-alone solar or just integrated  
12 with hydro solar?

13          WITNESS HOWARD: At the time, based on what I  
14 understood we could do without returning flow back to  
15 Stanshaw, it was going to be primarily stand-alone solar.

16          MR. FISHER: Okay. And the final question,  
17 who --

18          WITNESS HOWARD: May I correct that for a  
19 moment?

20          MR. FISHER: Yes, of course. Go ahead.

21          WITNESS HOWARD: So there would be other  
22 sources too, like a propane generator and some other  
23 things. But there would be no hydropower in that.

24          MR. FISHER: Thank you. And in this huge  
25 process who determined what questions you answered?

1           WITNESS HOWARD: That's one of the reasons why  
2 I terminated the contract is it became difficult to  
3 understand what our objective was going to be and who was  
4 defining that. So originally, I believe we were trying  
5 to work cooperatively with both the Coles as well as the  
6 state and then with some direction from Mid Klamath  
7 Watershed Council.

8           MR. FISHER: Thank you, Joey.

9           WITNESS HOWARD: You're welcome.

10          HEARING OFFICE MOORE: Okay. Thank you.

11          Next, does Klamath Riverkeeper have any  
12 questions? Maybe they're not here. And CSPA?

13          MR. SHUTES: No questions, thank you.

14          HEARING OFFICE MOORE: Thank you.

15          And Pacific Coast Federation of Fishermen's  
16 Associations? No.

17          Okay. At this point, I wanted to ask Counsel,  
18 do you have any redirect testimony you would request from  
19 the Prosecution Team?

20          MR. PETRUZZELLI: No, we don't.

21          HEARING OFFICE MOORE: And offer anyone to do  
22 recross?

23          (Multiple parties "no".)

24          HEARING OFFICER MOORE: Marble Mountain, no.

25          Okay, because there's no redirect, so thank you.



1           Okay. Good. Well, we seem to be doing pretty  
2 well on schedule. I'm going propose that we keep moving  
3 and that we would have Marble Mountain Ranch's opening  
4 statement. Also, as part of our scheduling work, we're  
5 going to have direct testimony from Steve Cramer, as part  
6 of this. And so it would be first your opening statement  
7 as the Prosecution Team had done and then we'll have  
8 Mr. Cramer come.

9           So Mr. Howard, thank you. Yes, you may go,  
10 appreciate it. Thank you for traveling.

11           And so Ms. Brenner, please --

12           MS. BRENNER: Just make one suggestion?

13           HEARING OFFICE MOORE: Sure.

14           MS. BRENNER: I know that you don't want to  
15 change the schedule --

16           COURT REPORTER: Can you please get to the  
17 microphone before you talk, so we can get it on the  
18 record? Thank you.

19           MS. BRENNER: Sure. I figure my voice is  
20 pretty loud.

21           Could I just make one suggestion? I appreciate  
22 that you've been very cooperative and willing to work  
23 with us on our scheduling, but I'm just wondering whether  
24 Prosecution doesn't want to put up another witness before  
25 I start. You've got 35 minutes.

1 MR. PETRUZZELLI: I --

2 MS. BRENNER: No? I mean, I'm just making a  
3 suggestion. I don't care.

4 MR. PETRUZZELLI: Well, I'm just debating  
5 whether or not I should go to the next witness.

6 HEARING OFFICE MOORE: Yeah. It's okay if you  
7 need a break to get ready too.

8 MS. BRENNER: No, I'm fine.

9 HEARING OFFICE MOORE: Oh, okay.

10 Okay. Mr. Petruzzelli?

11 MR. PETRUZZELLI: No. The preference for the  
12 Prosecution Team would be to present all of our witnesses  
13 together. So --

14 HEARING OFFICE MOORE: Okay.

15 MR. PETRUZZELLI: Yeah.

16 HEARING OFFICER MOORE: So --

17 MR. PETRUZZELLI: It's ruled on.

18 MS. BRENNER: That's fine.

19 HEARING OFFICE MOORE: Okay. So we'll just  
20 continue with the proposed schedule.

21 MR. PETRUZZELLI: We resigned ourselves to the  
22 proposed schedule.

23 (Laughter.)

24 HEARING OFFICE MOORE: Thank you for working  
25 with the Hearing Team.

1 MS. BRENNER: Yeah. I'm going to make a very  
2 brief opening statement and would like to reserve the  
3 additional time for witness testimony. I think that'll  
4 be more effective in this particular hearing.

5 HEARING OFFICE MOORE: Yes. Yes, you may.

6 MR. PETRUZZELLI: Oh, just one more thing?

7 HEARING OFFICER MOORE: Oh. You okay,  
8 Mr. Petruzzelli?

9 Stop the time, please.

10 MR. PETRUZZELLI: We'd like to verify that  
11 Mr. Howard is now done, so that he may leave?

12 MS. BRENNER: Yeah.

13 HEARING OFFICE MOORE: Yes.

14 MR. PETRUZZELLI: Okay.

15 HEARING OFFICE MOORE: Thank you, safe travels.

16 Okay. So are we ready?

17 MS. BRENNER: Ready.

18 HEARING OFFICE MOORE: Okay. Thank you, your  
19 opening statement.

20 MS. BRENNER: So as I indicated, I'll make a  
21 very brief opening statement.

22 The basic facts of the Stanshaw Creek system,  
23 and the fishery resources that the Marble Mountain  
24 diversion affects is pretty straightforward. You'll find  
25 it in both the fishery agencies, the state and federal

1 fishery agencies, as well as Mr. Cramer's testimony as  
2 well as some tribe testimony, we know pretty much how the  
3 system works and what benefits or lack of benefits there  
4 are in this particular pool. And just suffice to say  
5 that Marble Mountain diversion has not had any  
6 significant effect on the resources in the Stanshaw  
7 system. That's what we think the evidence will show.  
8 And that evidence again is not just the Coles' evidence,  
9 but it's actually the fisheries' evidence that helps, the  
10 fish agencies' evidence that helps establish that fact.

11           And so when you're talking about the public  
12 trust doctrine, we're talking about actual harm,  
13 preventing actual harm. Not benefitting the fishery  
14 resources. And we suggest that what's going on here is  
15 an attempt to benefit the fishery resources on the back  
16 of one diverter, to the extent that it will put the one  
17 diverter out of business given the current recommendation  
18 on the bypass flow.

19           The clearest evidence of the fact is the NMFS  
20 2012 to 2013 assessment of the Stanshaw pool. The Coles  
21 were diverting their full 3 cfs at that time and  
22 returning the non-consumptive use to Irving Creek, so  
23 they were not returning that non-consumptive use to  
24 Stanshaw yet the conclusions of the NMFS study was the  
25 fishery resources at that time were quite well. They

1 were healthy and robust. And that's their fish report.

2           The technical data also supports the  
3 conclusions that Stanshaw Creek is not suitable habitat  
4 to Coho to spawn. So we're limited in the amount -- the  
5 type of habitat that this actually provides. And that's  
6 an important fact. Nobody's disputing that fact. None  
7 of the fishery biologists are disputing that basic fact.

8           The floodplain pool off the stream of the  
9 Klamath River near Stanshaw Creek is not naturally  
10 sustainable and requires significant human intervention  
11 to redirect the flow to the pool during low-flow periods,  
12 even when the Cole's limit their diversion to their  
13 domestic and consumptive use. The bypass flow of a 1 to  
14 2 cfs without returning that flow to Stanshaw Creek is  
15 sufficient to provide the habitat for the minimal use of  
16 the floodplain pool at Stanshaw Creek.

17           The cost to return the non-consumptive use of  
18 the water is prohibitive. We just heard testimony in  
19 excess of a half a million dollars, at a minimum.  
20 Permitting alone for that project could easily reach half  
21 a million, based on our assessment. At least 250,000  
22 just for the permitting of the return flow. That's not  
23 talking the construction or anything else to build  
24 basically three-quarters of a mile of pipeline.

25           Without a direct showing of the benefit or

1 removal of harm gained by returning the flow to Stanshaw  
2 Creek, there's no practical nor legal basis to require  
3 such an effort.

4           The Coles are pegged as the bad actors in this  
5 case. To the contrary the evidence will establish that  
6 the Coles have been cooperating for over 20 years with  
7 the stakeholder group improving their ditch system,  
8 preventing ditch failures, replacing the World War II  
9 Pelton wheel, replacing the electrical system, and going  
10 from flood irrigation to a piped irrigation system.  
11 These and other improvements have been made to decrease  
12 power and water demands.

13           These efforts have come at a very high cost,  
14 both financially and emotionally. The Coles have spent  
15 nearly \$1 million on improving the system and defending  
16 their water right. They've upgraded and improved both  
17 the water and the electrical systems and complied with  
18 regulatory requirements. The emotional stress on not  
19 knowing what is coming next, and from what agency, has  
20 been tremendous. It's taken a major toll on the Coles,  
21 their family and their extended family. Mrs. Cole has  
22 suffered from cancer and other health issues that the  
23 doctors have all said is directly caused by stress.

24           Since 2015, the Coles have voluntary decreased  
25 their flows, their diversion, to consumptive use needs

1 only during low-flow periods. So during the drought  
2 years, the dry weather flows, the Coles in fact did  
3 decrease their use. They didn't use their hydro system.  
4 And they used diesel power to power their system. In the  
5 last couple of years they have voluntarily done just  
6 diesel. In order to get through the permitting process  
7 they've asked for permits to divert into Irving Creek.  
8 There's been no response. The 1600 permit's been held up  
9 for this process. They've really been a stranglehold  
10 with the permitting process, all weighing on a  
11 determination as to their ability to use their hydropower  
12 3 cfs.

13           So when we say that they're that bad actors  
14 since 2014 and we've had all these investigations,  
15 they've done nothing. In fact, before 2014 they've done  
16 quite a bit. Since the issuance of the order and some of  
17 these other regulatory activities they've been hamstrung.  
18 They haven't been able to even get a response on the  
19 discharge permit and as indicated in the record, the 1600  
20 permit's on hold.

21           It's all focused on whether we can afford, or  
22 whether it's practical, whether it's necessary, to have  
23 return flow. Instead of going to Irving Creek we should  
24 return the flow at a cost of over a million, we would  
25 estimate, and for very little if any benefit, based on

1 our evidence. So this is -- this seems to be the core  
2 issue in this hearing. When you hear ideas about solar  
3 and diesel and interconnected and more efficient energy  
4 system or electrical system, when you start digging into  
5 each one of those alternatives the interconnected system,  
6 half a million dollars; return flow, at least another  
7 half a million dollars. That's not counting the cost to  
8 actually put in the piped diversion and some sort of  
9 culverting or other physical solution to the top end of  
10 the diversion ditch, in order to have a metering system  
11 in place.

12           The Coles have agreed to do that. They've  
13 already agreed to do that. They've agreed to 1 to 2 cfs  
14 bypass flow. They've agreed to no -- only consumptive  
15 use when there's not adequate water flow for hydropower.  
16 The question is what else? They can't afford every  
17 single option that's being presented to them and required  
18 of them. And they certainly can't afford to return the  
19 flow from the Stanshaw from -- or from Stanshaw back to  
20 Stanshaw. The system's been used for years to go into  
21 Irving. The proposal to shore up the Irving outflow has  
22 been presented for over a year, close to two years, in  
23 order to make that a sufficient system. And ensure that  
24 there's no sediment entering into the Klamath or into  
25 Irving for that matter. Irving's a viable system. It



1 too has fishery resources.

2           There's simply no basis to find the Coles are  
3 wasting or unreasonably using their pre-1914 water right  
4 to divert up to 3 cfs from Stanshaw Creek. And there's  
5 certainly no evidence in the hearing that the public  
6 resources have been harmed by the diversions by the  
7 Coles, over the years. And we will establish that during  
8 this hearing. Thank you.

9           HEARING OFFICE MOORE: Thank you.

10           At this time can we call up Mr. Cramer? Thank  
11 you. So we will conduct direct testimony from Steve  
12 Cramer followed by any cross-examination in the order I  
13 previously identified. Redirect and recross examination  
14 of the witnesses may then be permitted.

15           And so when you're ready, would you please  
16 stand and raise your right hand, Mr. Cramer.

17                           STEVEN P. CRAMER

18           called as a witness by the Diverters, having  
19 been previously duly sworn, was examined and  
20 testified further as hereinafter set forth:

21           WITNESS CRAMER: Yes. I do.

22           HEARING OFFICER MOORE: Thank you. You may be  
23 seated.

24           Counsel, you may proceed. Thank you.

25           MS. BRENNER: Thank you.

1 ///

2 DIRECT EXAMINATION BY

3 MS. BRENNER: Can you please state your name  
4 and address for the record?

5 WITNESS CRAMER: Steven P. Cramer. My address  
6 is 300 Southeast Arrow Creek Lane, Gresham, Oregon,  
7 97080.

8 MS. BRENNER: And can you briefly describe your  
9 technical background, your education?

10 WITNESS CRAMER: I have a master's of science,  
11 a master's of fish biology degree, 1974. I began my  
12 career then. That's by calculation 43 years I've been a  
13 practicing fishery scientist. My first 13 to 14 years  
14 was with the Oregon Department of Fish and Wildlife. I  
15 led research on the Rogue River, a very -- a watershed  
16 similar to that of the Klamath. In fact, I collaborated  
17 with the Klamath team. After those 13 to 14 years with  
18 the Oregon Department of Fish and Wildlife I, in 1987  
19 launched my own consulting firm. So that's now been in  
20 operation 30 years: offices in California, Oregon,  
21 Washington and Idaho.

22 Our focus has been on understanding how  
23 people's actions impact fish resources. So we've looked  
24 at all kinds of environmental effects on the fish, what  
25 is the population dynamics of the fish, frequently do

1 population modeling and have in the past done a number of  
2 projects on the Klamath Basin. Probably the -- well, the  
3 largest and most noticeable in the Klamath Basin was for  
4 the Bureau of Reclamation in the mid-2000s -- I think it  
5 was 2000, perhaps like 8, 9, 10s; I may have those years  
6 wrong, but they're approximately right -- where we did  
7 population modeling for Coho salmon in the Klamath Basin  
8 including all of its tributaries and all the known places  
9 where the Coho were propagated naturally. So in that  
10 case, we were putting together a jigsaw puzzle of the  
11 existing information that existed. No one else had done  
12 that before. So that we could predict how operation of  
13 the water system within the Klamath Basin would affect  
14 Coho and what other kinds of things could be done to  
15 improve that run.

16 MS. BRENNER: Thank you. Were you asked to  
17 assist the Marble Mountain Ranch with the allegations  
18 against them with regard to their diversion of water from  
19 Stanshaw Creek?

20 WITNESS CRAMER: I was requested by Marble  
21 Mountain Ranch to identify what the fishery values were  
22 of the Stanshaw Creek and how that might be affected by  
23 their water use.

24 MS. BRENNER: And did you put a PowerPoint  
25 summary of your testimony together for today's hearing?

1 WITNESS CRAMER: I have.

2 MS. BRENNER: And can we just -- well, go ahead  
3 and let him walk through his PowerPoint? Would that be  
4 more efficient, I believe.

5 HEARING OFFICE MOORE: Yes. I'll allow that.  
6 Thank you.

7 (Slides uploaded to screen.)

8 WITNESS CRAMER: Okay. First of all, let me  
9 just introduce what the -- evaluation process that I went  
10 through. I have submitted two reports already that were  
11 in my written testimony.

12 First one, I reviewed all the available  
13 information on Stanshaw Creek that was in the  
14 correspondence to Marble Mountain Ranch and that was  
15 limited in extent. And then I gathered what reports I  
16 could from the Internet and whatever resources I already  
17 had available. And I completed a report that I turned in  
18 on September 29th. And I'm not exactly sure when that  
19 had to be submitted to the Board, but that was submitted.

20 Subsequent to that, and at the time we made  
21 that report I had proposed that I would do a survey of  
22 the stream, so I could look at the actual features of the  
23 stream and determine how they might influence fish  
24 production. And so we did do that stream survey on  
25 October 3rd. And then I completed a report analyzing

1 that data that was submitted on October 30th. So now  
2 both -- I believe those are both in your possession.

3 Stream assessments, first of all let me just  
4 tell you -- well here's a four-step process. First of  
5 all, we wanted to look at the impediments to upstream  
6 passage, because we wanted to know could fish get up the  
7 creek. We wanted to look at the suitable patches of  
8 spawning gravel. Is it a place where fish could actually  
9 spawn and reproduce naturally? This is in the creek.  
10 What's the rearing capacity for salmonids? And we wanted  
11 to identify where we could establish a point to monitor  
12 how the depth and velocity of the stream would change as  
13 flow changed.

14 In doing that, I recognized first of all that  
15 there was rules of thumb that had been applied to how  
16 much water should be diverted. And that that rule of  
17 thumb is often used when there is no data. And so the  
18 idea was this data of an actual stream survey and  
19 measuring these things would give a means to calculate  
20 what a more appropriate number is. When you use a rule  
21 of thumb like 10 percent is the amount diverted, that is  
22 broadly sited and has a basis, it's an extremely  
23 conservative choice of how much could be diverted,  
24 because it has to apply to any circumstance. But there  
25 is uniform agreement in the fisheries' literature that

1 cite specific circumstances are the right way to  
2 determine what a stream would need to have in its course  
3 in order to sustain fisheries' values. So rule of thumb  
4 is only what you use if you don't have any data.

5           So first of all, I'm going to talk about stream  
6 barriers that we looked for. You can measure the heighth  
7 and the lateral distance that a fish has to jump, and  
8 also measure the depth of the pool it must jump from to  
9 determine if it's a passable barrier. It's not an  
10 absolute value unless it is an extremely high jump, but  
11 it is a very reliable means to say probability that fish  
12 would be able to pass that spot. So what I've done here  
13 is I've listed nine locations in this slide that are the  
14 locations where we found a barrier. I'll show you a  
15 couple of pictures of them that were likely to be a  
16 barrier. And we measured the heighth, the lateral  
17 distance a fish would have to jump, and we measured the  
18 depth of the pool where they would have to jump from in  
19 order to get over that barrier.

20           And so starting at the top there, these are for  
21 -- well, let me just -- I guess what I would say rather  
22 than going through all nine of those I would just look at  
23 the heighth of the jump. That's from the surface of the  
24 water to how high they have to land at the next surface  
25 of the water to be over the jump. And all of these that

1 are listed there are three feet or more.

2            Fisheries literature establishes very clearly  
3 when you do laboratory tests and you can vary the height  
4 of the jump and the depth, for juvenile Coho salmon they  
5 fail to jump 30 centimeters, which is just a little over  
6 one foot. So these are 105 millimeter-length juvenile  
7 Coho, recently published Transaction American Fisheries  
8 Society in the fisheries literature in a very carefully  
9 extensive evaluation of different jump heights. More  
10 flow, more depth, did not enable them to jump any higher.  
11 But when they went down to 26 centimeters, just a little  
12 bit more, they had 3 percent succeed. And so they -- as  
13 each time they reduce the height a little more  
14 succeeded. But it went to zero at 32 centimeters. They  
15 couldn't jump over a foot. That's for juvenile Coho.

16            For adults the guideline is typically used in  
17 fisheries literature, a number of studies come back to  
18 this ratio, that the depth they jump from has to be 1.25  
19 times, that is 125 percent the height they have to jump.  
20 So it has to be more depth than height in order to get  
21 up enough speed to pass over the obstacle.  
22 There would be some very shallow jumps that that wouldn't  
23 be true of, but that's the guidelines. What you see  
24 here, these are three-foot high jumps, lateral distance  
25 in some case is zero and that's fine. But some is very

1 great. None of these depth heights you see in that last  
2 column compared to the heighth they had to jump, meet the  
3 criteria. They are not good for adult passage. They are  
4 not good for juvenile passage. All of these are likely  
5 barriers. There could be some flow where a few fish get  
6 over.

7           The one that's most significant as a natural  
8 barrier down there, it's called Unit 71, it's next to the  
9 bottom line. And that one is just right above the  
10 highway crossing. So this is clear down if you look at  
11 the total, that 4,000 feet of these barriers, that upper  
12 one is still below the point of diversion. So down at  
13 1,288 feet down to the floodplain of the Klamath there's  
14 a barrier that's 4.6 feet high, 7.5 feet lateral, because  
15 it's over a long sloping shot of bedrock. I'll show you  
16 a photo. And it's -- others have also ruled it's  
17 impassible and it's only 40 feet above the highway. So  
18 the highway culvert's been found impassable and then this  
19 is 40 feet above that, so really no opportunities above  
20 the highway.

21           I'll point to that last one there and I'll  
22 bring it up with a photo and we can discuss it, but  
23 there's another barrier to migration as it presently  
24 stands. When we were in there in October, 66 feet above  
25 the floodplain and its human constructed. It is not



1 natural.

2           Here's that first barrier that's right above  
3 the highway. You can see 4.6 vertical, but 7.5 feet  
4 lateral and it would be a lot longer depending if you  
5 could see we've got a person standing with a stadia rod,  
6 that's an expandable rod. It's all fully metricated so  
7 you can read the length right off of it, how far it spans  
8 a distance and we were using it -- it's just there for  
9 perspective. But the closest jump you could make on any  
10 of these, and it probably was to that little lower pool  
11 on the left, would be 4.6 feet vertical and still had the  
12 7 feet horizontal from any possible jump pool. You can  
13 see there's no jump pool in this picture. It's out of  
14 the picture to the left. This is the one that others  
15 have looked at and all agreed this is probably a barrier.  
16 And this is the lowest in the system natural, it's right  
17 above the highway.

18           As we went further up just to identify there's  
19 a couple more. Here's another one, this one 4.6 foot  
20 vertical. It can jump straight up. There was no problem  
21 lateral, but it only had a 2-foot deep pool. So it  
22 wasn't nearly deep enough to give a fish the opportunity  
23 to build speed to pass that barrier.

24           Here's another one. This one's really  
25 problematic to pass and I'm sure it's a barrier, because

1 there's really no place to jump from. We did measure the  
2 pocket right where you see that stake reaching. It's  
3 very frothy. All kinds of tests show that they can't  
4 jump from froth, but if you give that froth pile credit  
5 it's 2-feet deep and it's a very small little spot. They  
6 likely could not use that to jump from, so it's actually  
7 quite a bit higher than that if you add the other  
8 distance. But this is certainly a barrier, hence the --

9 MS. BRENNER: I'm going to ask you to kind of  
10 speed it up a bit, so that we can make sure we get  
11 through your testimony.

12 WITNESS CRAMER: Okay. Thank you. I just need  
13 to touch on this one. This one is an artificial barrier,  
14 manmade, 3-feet high. What you see right here in front  
15 of you -- and I don't have a -- I'm going to use this  
16 pointer. Well, I don't know if that -- yeah, okay  
17 hopefully it's -- this is all a manmade rock berm. This  
18 pool is within 66 feet of the mouth of the stream. It is  
19 in view of the owner that's on the west bank. It's  
20 obviously created seasonally. It would blow out with any  
21 high flow. The closet place to get any jump out of this  
22 is less than a foot deep. From the height of that  
23 surface to this is over three-feet high. It certainly  
24 blocks any juvenile migration during the summer. So this  
25 is where -- and you'll see other places where juvenile

1 migration upstream is also blocked by manmade structures  
2 that are not in any way related to Marble Mountain Ranch.

3           Okay. Here's what that outfall looks like as  
4 they come out from under the highway. And so it's this  
5 stretch downstream that I'm now going to talk about what  
6 we found out for survey results. And I've surveyed that.  
7 I've measured everything from the top all the way down by  
8 channel units. And here we see the point of diversion is  
9 4,284 feet upstream from the floodplain of the Klamath.

10           Note an error in my October 30th report just in  
11 case you come across it. I had failed to add the 1,048  
12 feet that was below, so I was only saying 3,236 feet I  
13 think is what I said for the whole thing. And that was  
14 just down to the highway. There's another 1,048 below  
15 the highway and this is the -- it's that 1,000 feet that  
16 we're going to talk about now.

17           Channel unit composition below the highway,  
18 this is where there could be potential access, 12 percent  
19 of that area is in pools, 3 percent if in riffles. Those  
20 are the two unit types that potentially could be useful  
21 to the fish. The rest of it is high-velocity complex  
22 fast water stretches that at any flow other than extreme  
23 low flow would not be useful. The velocity is very high  
24 and not -- is beyond the reach of juvenile fish. There's  
25 few marginal gravel patches. I found none suitable for

1 spawning, and then finally, the nine barriers that I just  
2 showed you.

3           To explain how I went ahead and estimated the  
4 capacity of this stream to rear fish, I just wanted to  
5 show you quickly that there are hard data that actually  
6 will estimate how many -- what kind of density should we  
7 expect in different types of channel units. A pool is a  
8 type of channel unit. A riffle is a shallower, faster  
9 one. But what you can see here is the pools have the  
10 highest ability to support -- this is from 19 streams on  
11 the Oregon coast -- 19 and I'm sorry, the parr per meter  
12 squared is the way the density is calculated. And so if  
13 you have a measurement, so on a pool you have a surface  
14 area, you would expect a density in this case of 0.17  
15 parr per meter squared of surface area of a pool, but  
16 much less if it was a glide. There were no glides in  
17 this stretch, rapids and riffles. And I used a value  
18 intermediate to this value on this chart right here.

19           This is just another one on the x axis is the  
20 depth. And what this shows is, as you have more depth  
21 you have more parr per meter squared regardless of the  
22 unit type except by the time you're about two-and-a-half  
23 feet, which is about 0.8 meters, things change. It no  
24 longer any more -- doesn't provide additional value, but  
25 it starts to become a problem in riffles, because they

1 start to get too fast if they are doo deep. They don't  
2 have friction, and to create a riffle is too fast at that  
3 point.

4           Okay. So here's the actual data that we can  
5 see of what there is in that stream. And what we see on  
6 the top is Stanshaw Creek. I listed Irving Creek,  
7 because then we went over and surveyed 3,000 feet of  
8 Irving Creek as well, just to get a comparison. I wanted  
9 to know is there indications that Irving Creek has a  
10 comparable or a lesser value of what -- what happens if  
11 we put water into Irving Creek instead of Stanshaw Creek?  
12 So we needed to get a look at Irving Creek.

13           What you see here, I want you to just look at  
14 pools, because that's predominantly where the opportunity  
15 for fish rearing is, particularly for Coho which have a  
16 dominant preference for pools. Pools, on average are  
17 15.6 feet long and 8.4 feet wide. And when you're  
18 classifying units if they're not more than at least one  
19 time as long as they are wide, that is if they're wider  
20 than they're long they're not really a unit. It's just  
21 part of the whole flowing stream. So if they're not at  
22 least one channel width long they don't even qualify as a  
23 unit and that's standard in fishery science. At any rate  
24 you can get these things that are just barely two lengths  
25 -- that are two widths wide, so 8.4 width and they're 1.4

1 foot deep.

2           Now, just look down at Irving Creek. You can  
3 just see by comparison Irving Creek is larger. It has  
4 pools at almost double the length, another 50 percent  
5 more width, and at least another 50 percent more depth,  
6 also. So they have all these traits that are much more  
7 desirable for Coho production, for steelhead production,  
8 for all of those in Irving Creek.

9           This is a picture of Irving Creek. This is  
10 just one stretch we looked up and it should be real  
11 obvious. This is a much lower gradient than what you're  
12 going to see when we look at pictures of Stanshaw Creek.  
13 Stanshaw Creek has an average slope that ranges from 9 to  
14 11 percent. Far beyond the range that is useful for  
15 Coho, which typically don't use anything more than 5  
16 percent. You can find a few a little and above that, up  
17 to 7 percent, but by the time you're at 9, 11, there is  
18 essentially no Coho production in those kind of streams.  
19 They don't have a morphology. They have too much  
20 velocity for Coho. This one has less. And so it has  
21 more desirable habitat.

22           Now just to look I wanted to show you without  
23 going through this giant table that I'm on now, this is  
24 the actual calculation channel unit by channel unit below  
25 that highway crossing in Stanshaw Creek, how many

1 steelhead parr it could support. And the reason I picked  
2 steelhead parr is because they do like higher velocity  
3 and at age 1+ they are able to swim in higher velocities.  
4 They're a little bit larger than Coho would grow before  
5 the Coho would leave. And we're estimating that by this  
6 method that's been used widely and is published, 36 Coho  
7 parr is all you can produce. And if you put the average  
8 expected survival of a Coho parr at age 1+ through the  
9 winter is about 50 percent. So if you take that -- those  
10 36, then you've got 18 that would become ready to go the  
11 ocean next year. And if you quite liberally allow them  
12 10 percent survival, 10 percent of 18 fish is 1.8  
13 returns.

14           This stream is capable of producing in a very  
15 good year one or two adults; in most years, no adults.  
16 So this stream is not capable of supporting a sustainable  
17 population of steelhead. And it's certainly not capable  
18 of supporting a sustainable population of Coho. Very  
19 important conclusion, measured, not a theory. These are  
20 numbers and these are actual measurements. And this has  
21 been applied widely and is in published science  
22 literature.

23           Okay, so here's -- now comes the really  
24 shocking part of what we found in that. This is as you  
25 come out onto the floodplain. And we show a couple of

1 photos that I hope you will be able to understand. What  
2 I want to show you right here. This, where you see my  
3 cursor wiggling there is where this thing -- where Irving  
4 -- I'm sorry, Stanshaw Creek emerges onto the floodplain.  
5 Right there. It's coming from kind of straight ahead to  
6 your left what is -- I'm going to show you another angle  
7 of it -- the main force of this channel is here to the  
8 right. There's rocks stacked in the bushes here. It's  
9 really hard to get, but there's rocks stacked here to  
10 block the flow, so that it doesn't go to the right. But  
11 a whole bunch does.

12           On the day that we were there, we measured flow  
13 at 5 cfs at the diversion. There was return flow coming  
14 through one of the first diversions down the -- the ditch  
15 operates so that there's overflows to allow excess flow  
16 off of it to return to Stanshaw Creek. There was at  
17 least 1 or 2 cfs coming down the first of those. There  
18 was more at another point that were returning to Stanshaw  
19 Creek. So what you measure at the diversion is not what  
20 you end up at the bottom end, at least it certainly was  
21 not on the day that we made these measurements. So you  
22 probably have in the order of 6 or 7 cfs at least,  
23 arriving right here.

24           There's two channels going off to the left and  
25 the creek is coming out here and tending to go straight



1 to the Klamath. What you realize is the pond that you've  
2 seen pictures of, is 45 feet at a right angle to the left  
3 here. So that this stuff has got to go -- turn around  
4 and go left across the gravel bar and so that's why these  
5 rock berms are there. What you'll see now. We'll look  
6 at a different views. This is that same spot --

7 MS. WEAVER: Sir, if you could pause for a  
8 second?

9 WITNESS CRAMER: Yeah.

10 MS. WEAVER: Your 20 minutes has expired.

11 MS. BRENNER: Right and we would like  
12 additional time, so that Mr. Cramer can complete his  
13 testimony. Just we have what, another four or five  
14 minutes?

15 WITNESS CRAMER: At least. There's --

16 MS. WEAVER: So you --

17 HEARING OFFICE MOORE: Go ahead.

18 MS. WEAVER: You have 11 minutes, 20 seconds  
19 left from your opening statement. Would you like to  
20 start there?

21 MS. BRENNER: We can start by applying that  
22 time.

23 MS. WEAVER: Okay.

24 HEARING OFFICER MOORE: And you still have an  
25 hour going.

1 MS. BRENNER: Yeah.

2 HEARING OFFICER MOORE: Okay. Continue.

3 WITNESS CRAMER: Okay. So now this is the same  
4 view of the spot. And this is now standing over into  
5 that channel where the most flow is directed and there's  
6 a couple of boulders here that were placed in the channel  
7 and so it's diverting stuff off to this left.

8 Now, I'm going to show you some views. I  
9 estimated right here that about one third of the flow is  
10 coming down this channel; two-thirds are getting diverted  
11 this other way. One of those is splitting and not  
12 showing and I'm looking at -- pointing at it. There's  
13 one little channel there. There's actually two channels  
14 directed down to the left that are created here.

15 Now, we'll look down them so you can see that  
16 they're aligned. This is the upper one going off through  
17 the trees and you see it's lined by a gravel berm that's  
18 -- sorry, cobble and boulder berm manmade, to direct it  
19 over to -- and that in the distance is the pond. You can  
20 see it from this person standing down there, the height  
21 is about four to six feet, something like that at the  
22 pond versus at the pond -- the height of the stream  
23 emerging from the channel and now entering here onto the  
24 floodplain.

25 Here is the other channel that goes that way.

1 And again, you can see that it's got rock berm construct  
2 all the way along it. Some stair steps obviously to --  
3 would appear to be intending to help fish move from the  
4 pond down there, up the creek. Now, remember for this  
5 distance out to over here is about 45 feet upstream, up  
6 the gravel bar, from where the creek emerges from this  
7 channel.

8 All of this water right here is flowing through  
9 the edges of the berm and going out across the gravel  
10 bar. It's not entering the pond. So by the time you  
11 have all the losses that are on this bar, plus the other  
12 about two-thirds of the flow that's coming out does not  
13 reach the pond. That's by natural inclination of where  
14 the pond is and where the creek is. The amount that does  
15 reach there you can see is manmade. Those are manmade  
16 berms to get the water over to the pond.

17 Here is a picture of that pond that was taken  
18 the winter after 2013 when it was enhanced, so that there  
19 was a special enhancement project to go alter the pond to  
20 make it more favorable for fish. And so we can see  
21 something's real different in this 2013 picture than  
22 there is now. I don't know that happened in between.  
23 There was a flow of over 100,000 cfs in the Klamath this  
24 last winter. That could have been the one. There may be  
25 others that were there to see it.

1           I will show you some more pictures, but what  
2 you need to look at right now is where does the water  
3 come out of the pond? Here, we're looking at this one  
4 channel going in and I just showed you now there's  
5 multiple channels that are built up going in. And I'll  
6 now show you the outflow, but there's a giant rock berm  
7 built up. Wherever the outflow is I assume it must be  
8 right about this location, but it looks quite a bit  
9 different than this now.

10           So here's me standing in the -- in the -- what  
11 I'm standing in is the Klamath River. It's the backwater  
12 of the Klamath River. This rock berm plugs that pond.  
13 The pond is out of sight directly behind this rock berm  
14 and all of the flow coming out of the pond is going  
15 through the crevices of the rocks. And again there's  
16 been previous estimate that whatever it used to be could  
17 have been maybe 2 cfs would get you to overflow. There  
18 was times where it was slightly less than 2 and it just  
19 was like an inch or two from the top. Well obviously  
20 here we've got in total probably 7 cfs reaching the  
21 floodplain. And it's not close to coming over the top  
22 there and it won't, because it's coming through the berm  
23 that is human constructed.

24           And all that other stuff that I showed you  
25 coming through is substantially out your picture to the

1 right now. Other flow is coming out across the gravel  
2 bar to the right where it's all natural. The problem is  
3 you've got the flow of the Klamath River shooting  
4 sideways across the front of this and floods will  
5 reconfigure that gravel bar.

6           Restoration -- our firm does a lot of  
7 restoration projects -- restoration is an inexact science  
8 and it has to deal with highly variable environments and  
9 sometimes you win and sometimes you lose. There's a  
10 tremendous backlog of examples of restoration projects  
11 that did not live up to their expectations. And what I  
12 see now is this one is not living up to expectations and  
13 I'll show you some more in the snorkel. But the key  
14 thing here is that this is -- upstream passage now is  
15 blocked by human-constructed rock berms, absolutely  
16 independent of natural flow. What this would look like  
17 without those I'm not sure. I don't know that any flow  
18 would even get to the pond without the berms under  
19 today's setting. Maybe some would. But at any rate all  
20 we've got is all these rock berms.

21           Here's the pond itself. Now I'm standing on  
22 top of what you were just looking at there and looking  
23 at. Here's our snorkeler. We had him snorkel very  
24 slowly to not disturb fish. If you could see it more  
25 clearly, yeah closer up you can actually see the bottom

1 here. Visibility is very good. There's woody debris  
2 establishing this -- that provides cover. That's here in  
3 the front. There's an island over to the left and then  
4 it goes quite a bit back to the left.

5 He covered the entire thing very slowly, twice.  
6 Ten minutes in between and he had separate accounts each  
7 time, because we wanted to know how repeatable is the  
8 count. And so I have those listed there on the slide.

9 First run through, 9 steelhead. These are age  
10 0+, so these are just young of the year. And there was 2  
11 Coho on his first run through. Waited 10 minutes and  
12 went back to swim through. His count varied, which you  
13 would expect. You don't see everything on one of these,  
14 but he was going -- being very careful, so it's very  
15 close. He got 15 steelhead zeros and one steelhead 1+,  
16 but no Coho.

17 So he -- if you just assume that perhaps that  
18 he was only 50 percent efficient then you could say well  
19 this, for Coho-wise maybe there was somewhere less than 5  
20 Coho, maybe there was 30 steelhead in the whole pond this  
21 year. Those are very small numbers, compared to  
22 historically.

23 Let me just quickly tell you about some of the  
24 numbers that I compared that to, because it really puts  
25 perspective that had been reported previously. And in

1 2000 -- just a second, I want to get my years right, okay  
2 -- in 2005 the Karuk Tribe had reported 156 Coho. These  
3 are just Coho. They also had a large number of  
4 steelhead. And those are just listed in a side column in  
5 a table that was submitted for evidence, and so this is  
6 where I found it. In 2008 they had 130 Coho in there.  
7 In 2010, 55.

8           In 2012 a study that actually did Marble Creek  
9 capture estimated the full number there, 120. And then  
10 immediately following the enhancement project that I  
11 showed you, that winter picture, there's a report they  
12 said they counted or they estimated -- I don't know how  
13 they did it -- 105 in February of 2016.

14           So now, move ahead. I've only found two other  
15 estimates. The ones we made. We found five. And so  
16 this is since that project. And then in 2014, Krall I  
17 believe it was estimated -- did a project there. It  
18 might have been Whitmore. Anyway there was a study done  
19 and it's in evidence, an estimated 10. So we've been  
20 nowhere close to those numbers after the enhancement  
21 project. I don't know why they couldn't all get there.  
22 If it was the rock berms or what else happened. If  
23 somebody has other data it hasn't been presented in  
24 evidence and I don't have it.

25           So it appears that this is performing poorly in

1 spite of the fact for the last two years that the Marble  
2 Mountain Ranch has not diverted water during the summer.  
3 It's complied during the summer low flow with not  
4 diverting water except for their benefit -- their -- what  
5 do you call that? The --

6 MS. BRENNER: Consumptive use.

7 WITNESS CRAMER: -- consumptive use, thank you.  
8 It's not the hydro use. It's the consumptive use part.  
9 That's the only thing they've diverted, so substantially  
10 more flow coming down and yet very different and much  
11 lower performance in the past.

12 Here's, just so you look at Irving Creek,  
13 here's what happens when it enters on to the floodplain.  
14 It looks a lot like what part of the Stanshaw Creek looks  
15 like. When we entered out of Irving Creek on to the  
16 floodplain immediately it branches out across all the  
17 boulders and you've got this complete braided channel  
18 just going in all kinds of directions. But even there  
19 naturally there was a floodplain pool formed. And upon  
20 approaching this, we didn't expect to find one, but there  
21 it is. It's natural. And fish darted away as we  
22 approached. We weren't there with snorkel gear and  
23 couldn't go do any estimate, but it would form some of  
24 its own.

25 Just so you know now just thinking about Irving



1 Creek, its pools are larger, deeper. Its riffles are  
2 deeper. And the estimate -- I didn't complete the  
3 estimate, but just by looking at the data on it, its  
4 capacity would be somewhere in the order of five to seven  
5 times the capacity of Stanshaw Creek to produce  
6 something. And whatever's in Stanshaw Creek remember  
7 it's not reproducible, but the floodplain pond would be.  
8 The floodplain pond has value and those numbers show it.  
9 It's just what they've done to it now, it's not  
10 performing. And it's not flow that it's lacking for.  
11 It's got problems for fish getting to it.

12           So here's just some Stanshaw Creek riffle. I  
13 just -- I wanted to show you the velocity changes as flow  
14 goes up, so more flow causes more trouble for fish in the  
15 stream. So what we did here, first at the upper table  
16 there's ten increments across the stream. We measured  
17 the depth and the velocity at each of those increments.  
18 Three feet per second is a reasonable velocity for  
19 juveniles, but all the depths note, are under six inches.  
20 They're under half of a foot, 0.5 feet, six inches.  
21 Juvenile salmonids of any size are very vulnerable to  
22 bird predation and mammals, whatever. They do not --  
23 they will strongly avoid depths under six inches. And so  
24 if you don't have six inches, they feel totally  
25 vulnerable. They will avoid that.

1           So this riffle doesn't work at low flow. But  
2 look what happens to the velocities -- and I use this,  
3 because you remember that when I gave you the versions  
4 before -- 3 percent of the area was riffle and like 12  
5 percent was pool. And those were the only channel units  
6 that really could produce fish. And this is one of the  
7 shallowest riffles there, but it was where we could get  
8 to it to do these measurements.

9           Within -- there was a full event just shortly  
10 after this. Then we got the measurements again, and you  
11 can see the depth had increased only slightly. Most of  
12 it is still under half -- six inches. There was one that  
13 was 0.7 feet. And the velocities, if you look at the  
14 second half of this thing, where's my -- there it is --  
15 over here are these -- the whole second half of those 10  
16 is now up 4 and even here's one at 5.9. So you're  
17 getting a whole lot of velocity across this riffle. It's  
18 getting deeper, but too fast.

19           MS. BRENNER: And Steve, we're going to have to  
20 get you to get to your conclusions.

21           WITNESS CRAMER: Here they are. Four, okay?  
22 So here's the conclusions, so what do we see from all  
23 that? Number 1, the stream morphology and the habitat  
24 suitability --

25           HEARING OFFICE MOORE: Sorry to interrupt, but

1 we've got another break in timing

2 MS. WEAVER: So we have a couple of options.  
3 If you'd like to move to transfer time from the other  
4 witnesses you have that option or we can very quickly  
5 wrap.

6 MS. BRENNER: I think you've got to your  
7 conclusions, correct? So we should be what, another  
8 minute?

9 WITNESS CRAMER: Right. I'm just on the last  
10 two slides that have the conclusions.

11 MS. BRENNER: So if we could just have one more  
12 minute?

13 HEARING OFFICE MOORE: I'll allow it.

14 MS. BRENNER: Thank you.

15 WITNESS CRAMER: Okay. Now, stream morphology  
16 and the habitat suitability for salmonids is low and it's  
17 primarily driven by the 9 to 11 percent stream gradient.  
18 It was predictable before we even went out and measured  
19 all the habitat. Upstream passage is blocked within 40  
20 feet of the highway naturally. And we showed -- we  
21 looked at that. The habitat is not suitable for Coho and  
22 it's capable of supporting less than 50 steelhead parr in  
23 that stream. This is in the stream portion, at moderate  
24 summer flows. Higher flows will start to increase  
25 velocities where it doesn't work. Higher flows actually

1 in a very steep channel become a problem for the fish.  
2 Capacity likely declines as flow increases due to those  
3 increasing velocities, so more flow is not necessarily  
4 good when you're in a 9 to 11 percent gradient. The  
5 floodplain pond is capable of providing cool water  
6 refuges through the summer. And it's also good for high-  
7 flow refuge in the winter or spring when -- for juvenile  
8 salmonids. And that would be at least in some years it's  
9 dependent on what happens by shaping of that gravel bar  
10 by the Klamath River, not by Stanshaw Creek.

11 Manmade rock berms intended to divert flow,  
12 direct flow, and increase the depth in the pond also  
13 created substantial impediment to upstream access by the  
14 juvenile salmonids to both the pond and the stream.  
15 Floodplains are dynamic and the function in the function  
16 of Stanshaw pond as a refuge is likely to vary widely  
17 between years without annual human intervention. A  
18 number of others in the Klamath Basin have made the same  
19 statement. That they have found they worked great in  
20 some years and not others. In this case, that whole  
21 arrangement is heavily influenced by the Klamath River.

22 Monitoring data did indicate that Stanshaw Pond  
23 likely functioned more effectively as a refuge before the  
24 habitat enhancement in 2013. Because once those fish  
25 left in the winter, now it's the summer 2014 and the

1 first look at it, is that there was only 10 fish in  
2 there, 10 Coho. Flows of 1 cfs into that pond, several  
3 of the years there was measurements we found on a Karuk  
4 Tribe data table. One cfs often was measured entering  
5 the pond in past summers when numbers of fish were  
6 present and doing well. That suggests that that's been  
7 tested, field tested, it works for water quality in the  
8 pond.

9           Is there more value to gain in Irving Creak?  
10 That's an open question. Water in Irving Creek is  
11 valuable for fish. It does not lose all of its function  
12 if it goes to Irving Creak. I can tell you that.

13           MS. BRENNER: Thank you, Steve.

14           HEARING OFFICE MOORE: Okay. Thank you and  
15 before we -- I would say before we break for lunch or do  
16 you want to continue? (Panel confers off mic.)

17           Okay. Yeah, the next order of proceeding is to  
18 do a cross-examination. But that could take an hour or  
19 more depending on folks, you know the different parties'  
20 list of questions and the detail we'll get into. So it  
21 is now 12:10 according to that clock. This presents a  
22 logical point to break for lunch. We'll take 60 minutes  
23 as we said earlier and we'll return here and recommence  
24 at 1:10 p.m. And thank you to adhering to those  
25 parameters. And I'll see you at 1:10.

1 (Luncheon recess was taken at 12:10 p.m.)

2 Monday, November 13, 2017 1:14 P.M.

3 P R O C E E D I N G S

4 --000---

5 HEARING OFFICER MOORE: We're reconvening the  
6 hearing. I am Vice Chair Steve Moore, the Hearing  
7 Officer. And next on our list we will invite cross-  
8 examination of our witness, Mr. Cramer.

9 First, I would like to invite the Division of  
10 Water Rights Prosecution Team to do cross-examination.  
11 Yes, someone's at the stand?

12 MR. SHUTES: Good morning, Mr. -- good  
13 afternoon --

14 HEARING OFFICER MOORE: Yes.

15 MR. SHUTES: -- Hearing Officer Moore. I'm  
16 Chris Shutes for the California Sportfishing Protection  
17 Alliance. I wanted to let you know that we're present  
18 today and I misread the hearing notice this morning and  
19 showed up promptly at 10:00 o'clock at the State Water  
20 Board.

21 (Laughter.)

22 But I'm here and prepared to proceed in the  
23 proceeding. Thank you.

24 HEARING OFFICER MOORE: Okay. Great, welcome.  
25 And you'll have an opportunity to cross-examine before

1 too long, so --

2 MR. SHUTES: All right.

3 HEARING OFFICER MOORE: -- please hold tight.

4 Thank you, Mr. Shutes.

5 And Mr. Petruzzelli?

6 MR. PETRUZZELLI: Thank you.

7 CROSS-EXAMINATION BY

8 MR. PETRUZZELLI: So Mr. Cramer, I wanted to  
9 ask you about, you know, your characterization of some of  
10 the generalities of the NMFS flow recommendation on does  
11 the NMFS recommendation look at some site-specific  
12 factors on Stanshaw?

13 WITNESS CRAMER: They talked about flow --

14 MR. PETRUZZELLI: I'm just asking you just yes  
15 or no, does it?

16 WITNESS CRAMER: Well, I mean you've got to  
17 define "site specific." They did an analysis primarily  
18 of the flow.

19 MR. PETRUZZELLI: Okay. Does it look at what  
20 wetted channel width -- within Stanshaw?

21 WITNESS CRAMER: It might.

22 MR. PETRUZZELLI: Okay. But you aren't sure?

23 WITNESS CRAMER: Well, it -- they did not do a  
24 channel unit by channel unit analysis of their shape. It  
25 was not possible with the data they provided to estimate

1 the carrying capacity of the channel.

2 MR. PETRUZZELLI: Okay. Does it locate the  
3 ecological significance of Stanshaw?

4 WITNESS CRAMER: They speak to it.

5 MR. PETRUZZELLI: Okay. And does it discuss  
6 species of significance within Stanshaw?

7 WITNESS CRAMER: It discusses species.

8 MR. PETRUZZELLI: Okay. Does it evaluate the  
9 importance of connectivity within Stanshaw?

10 WITNESS CRAMER: Evaluate? No. I think it  
11 discusses it.

12 MR. PETRUZZELLI: Okay.

13 WITNESS CRAMER: You -- so terminology, I just  
14 want to be fair -- they talk about it. And they make  
15 some assumptions, but they did not present data to  
16 establish a bunch of things about connectivity.

17 MR. PETRUZZELLI: Okay. Does it discuss forest  
18 cover?

19 WITNESS CRAMER: I don't recall.

20 MR. PETRUZZELLI: Okay. Does the  
21 recommendation assert that Stanshaw is spawning habitat?

22 WITNESS CRAMER: It -- no, my recollection is  
23 that they did not accept that it was a spawning habitat  
24 for Coho salmon.

25 MR. PETRUZZELLI: So it does assert that it's



1 spawning habitat for Coho salmon?

2 WITNESS CRAMER: No. They assert that it was  
3 not for --

4 MR. PETRUZZELLI: Okay.

5 WITNESS CRAMER: -- Coho salmon.

6 MR. PETRUZZELLI: So they don't assert that  
7 it's spawning habitat?

8 WITNESS CRAMER: For Coho salmon.

9 MR. PETRUZZELLI: For Coho, okay.

10 And are you aware of --

11 WITNESS CRAMER: And let me just -- let me just  
12 -- so some of the questions you're asking, my -- there  
13 was implication in the wording, and then especially when  
14 they're asking for flows, that there is a purpose behind  
15 those. And so I was checking to identify what could we  
16 measure to just establish what the stream could produce?  
17 I provided those measures. Those were not available with  
18 NMFS. So that's why I did those measurements, so we  
19 could establish what it could do.

20 MR. PETRUZZELLI: Okay. Are you aware of  
21 whether -- that Stanshaw is designated a thermal refugia  
22 in the North Coast Water Quality Control Plan?

23 WITNESS CRAMER: I understand that it is  
24 listed.

25 MR. PETRUZZELLI: Okay. Do you understand that

1 there is a regulatory process to put it in there?

2 WITNESS CRAMER: I don't know the nature of the  
3 regulatory process.

4 MR. PETRUZZELLI: Okay. Okay. Are you -- but  
5 do you have a general, you know, awareness or  
6 understanding of what's in the basin plan as it pertains  
7 to thermal refugia?

8 WITNESS CRAMER: I understand that there is a  
9 listing of thermal refuges and that it is among them.

10 MR. PETRUZZELLI: Okay. And do you have an  
11 understanding that because it is designated as thermal  
12 refugia that the basin plan then requires -- has certain  
13 regulatory protections, because of that designation?

14 WITNESS CRAMER: I'm a fish biologist. I'm not  
15 a legal expert.

16 MR. PETRUZZELLI: Okay. Fair enough.

17 So in the information that you reviewed in  
18 preparing your report were there any references to fish  
19 up in the diversion ditch?

20 WITNESS CRAMER: Yes.

21 MR. PETRUZZELLI: So there were, so reference -  
22 - so fish actually in the diversion ditch?

23 WITNESS CRAMER: Yes.

24 MR. PETRUZZELLI: Were there references to fish  
25 up in the ranch pond, and I mean the pond at the ranch,

1 not the pond --

2 WITNESS CRAMER: Oh, I saw one that referenced  
3 fish in the ranch pond.

4 MR. PETRUZZELLI: Okay.

5 WITNESS CRAMER: I also know that there was  
6 fish planted in the ranch pond.

7 MR. PETRUZZELLI: Okay. Do you know which were  
8 which?

9 WITNESS CRAMER: No.

10 MR. PETRUZZELLI: Okay. All right. And in  
11 your -- in both of your reports you reference the typical  
12 manner of operation of the diversion. I think in your  
13 first report, it's MMR-17 on page 4, you state these past  
14 diversions were made while water diversions at Marble  
15 Mountain Ranch were being operated in their typical  
16 manner; is that correct?

17 WITNESS CRAMER: Yes.

18 MR. PETRUZZELLI: Okay. Would you characterize  
19 the typical manner of Marble Mountain's diversion  
20 operation as how they've operated since roughly spring  
21 2015?

22 WITNESS CRAMER: Roughly would be a reasonable  
23 kind of statement. I don't know exactly what  
24 modifications have been made exactly when, so it would be  
25 when they were continuing to make diversions during the

1 summer for -- through some portion of the summer to do  
2 hydro.

3 MR. PETRUZZELLI: So you would characterize  
4 their typical manner of operation as hydropower diversion  
5 throughout the summer?

6 WITNESS CRAMER: But whenever it was practical  
7 and however they would normally have done it.

8 MR. PETRUZZELLI: Okay. But not -- but not  
9 just bypassing flows or excuse me, not limiting flows to  
10 consumptive uses. Or not limiting diversions to  
11 consumptive uses. I'm sorry; I can rephrase that if it's  
12 confusing.

13 WITNESS CRAMER: So my understanding is that it  
14 was in August of 2016 that they terminated use of hydro  
15 during the summer and use only consumptive water.

16 MR. PETRUZZELLI: Okay. And is that what you  
17 would consider their typical manner of --

18 WITNESS CRAMER: So it's --

19 MR. PETRUZZELLI: -- diversion operation?

20 WITNESS CRAMER: -- it's atypical of earlier  
21 use. So the August 2016 and later is atypical in that  
22 now they have terminated hydro use during the summer.

23 MR. PETRUZZELLI: So what you'd describe as  
24 their typical manner of diversion operation would be only  
25 diverting for consumptive demands since August 2016? Is

1 that -- I'm just trying to understand it.

2 WITNESS CRAMER: Yeah, so what I'm saying is  
3 that from -- yeah from August 2016, at least during the  
4 summer and even -- well even now in the winter I -- when  
5 I was there -- there it was fall -- that they are -- they  
6 have changed their operation to comply where they're only  
7 doing consumptive diversions and then that's my  
8 understanding. So my -- when I say typical it's before  
9 that change was made and where they were still running  
10 things as you might have expected any time in the last  
11 couple of decades.

12 MR. PETRUZZELLI: Did your -- did the -- did  
13 your -- is your understanding based on information  
14 received from the Diverters?

15 WITNESS CRAMER: It is. I would say and that  
16 information includes the tables of data that show the  
17 flow measurements that were made at the diversion by  
18 others.

19 MR. PETRUZZELLI: Would you --

20 MS. WEAVER: So just to pause quickly,  
21 Mr. Cramer, we have a request for you to sit a little  
22 closer to the microphone?

23 WITNESS CRAMER: Yeah.

24 MS. WEAVER: Apparently it's hard to hear you  
25 on the Webcast.

1 WITNESS CRAMER: Okay.

2 MR. PETRUZZELLI: So I'd like to ask you about  
3 your initial recommendation for flows. It's on Page 12  
4 of MMR-17. And in that recommendation for low flow  
5 periods, which you define as under 5 cfs, you recommend  
6 limiting diversions to 10 percent of flow with a 2 cfs  
7 minimum; is that correct?

8 WITNESS CRAMER: So what you're reading now is  
9 what I termed my initial recommendations? I had --

10 MR. PETRUZZELLI: Yes.

11 WITNESS CRAMER: -- not yet done the survey, so  
12 yeah. And so which sentence -- that you could read the  
13 sentence, I guess -- which sentence you're looking at?

14 MR. PETRUZZELLI: It's, I know it's on page 12,  
15 I don't have the exact sentence handy.

16 WITNESS CRAMER: Okay. I have one that says,  
17 "During low flow periods of 5 cfs or less, typically  
18 associated with summer, the diversion could be limited to  
19 10 percent of flow in Stanshaw Creek with a minimum  
20 bypass of around 2 cfs. This would allow the Coles to  
21 divert their 0.3 cfs for consumptive use and domestic  
22 needs, not accounting for ditch loss."

23 MR. PETRUZZELLI: Okay. Is that -- I mean,  
24 would you -- would you say that's, you know, pretty  
25 similar to parts of the NMFS recommendation? And when I

1 say "parts" you know, where NMFS is excluding hydropower  
2 diversions.

3 MS. BRENNER: I'm going to object as vague.

4 Can you just ask him --

5 MR. PETRUZZELLI: Yeah, I'm going to try to --

6 MS. BRENNER: -- precisely what portion of the  
7 bypass flow (indiscernible)?

8 HEARING OFFICER MOORE: Okay.

9 MR. PETRUZZELLI: Yeah.

10 HEARING OFFICER MOORE: If you can restate the  
11 question, please?

12 MR. PETRUZZELLI: Yeah, I'm -- would you say  
13 you're --

14 MS. WEAVER: If you would come up to the  
15 microphone to object just for the benefit of the court  
16 reporter?

17 MS. BRENNER: Sure.

18 MR. PETRUZZELLI: Would you -- so do you also  
19 recall that the NMFS recommendation where it has it -- 2  
20 cfs minimum bypass at the point of diversion and only  
21 allows for hydropower diversion when flows are more than  
22 2 cfs and requires a 10 percent bypass.

23 Do you -- is that --

24 WITNESS CRAMER: My understanding was that they  
25 required the 10 percent bypass year-round.

1 MR. PETRUZZELLI: Yes. Okay.

2 WITNESS CRAMER: And so that's where an  
3 implication is, somewhere it's --

4 MR. PETRUZZELLI: Right.

5 WITNESS CRAMER: -- probably something, that  
6 year-round, but it's not explained what it is. That's  
7 why I had to say okay I wanted to look at more than just  
8 what's said there.

9 MR. PETRUZZELLI: Yeah, but I -- but is the  
10 recommendation to, you know, limit diversions to 10  
11 percent during -- when hydropower -- is the  
12 recommendation to bypass 2 cfs and limit diversions to 10  
13 percent; is that similar to your low flow recommendation?

14 WITNESS CRAMER: Well, at the time it was, but  
15 no as I have -- you see now there's further data that's  
16 been submitted as part of the record. And so there's  
17 additional, I got the survey and a whole bunch of other  
18 people have submitted additional data, and I think the  
19 data suggests that that's much more than is necessary.  
20 And so I've  
21 -- a lower flow, there's evidence suggests a lower flow  
22 it does fine.

23 MR. PETRUZZELLI: Okay. So and I'd like to ask  
24 you about your supplemental testimony. You indicate you  
25 surveyed Stanshaw on October 2nd and 3rd?



1 WITNESS CRAMER: Correct.

2 MR. PETRUZZELLI: Okay. Have you conducted  
3 other surveys at Stanshaw?

4 WITNESS CRAMER: I have not.

5 MR. PETRUZZELLI: Okay. So this was your only  
6 onsite survey --

7 WITNESS CRAMER: Correct.

8 MR. PETRUZZELLI: -- of Stanshaw? Okay. And I  
9 think it's on page 2 you indicate evaluating the stream  
10 in areas where woody vegetation and stream complexity did  
11 not infringe upon the observer's ability to see the  
12 stream?

13 WITNESS CRAMER: Yes.

14 MR. PETRUZZELLI: Okay. So were you able to  
15 evaluate the entire stream, because of those visibility  
16 limitations?

17 WITNESS CRAMER: Yes, we were. So I was going  
18 to put one photo in and thought, "Well, I've got enough  
19 photos in there already." But the patches where we could  
20 not walk along in each -- there were probably several I  
21 would say. During the course of that 4,000 feet that we  
22 covered, there were probably four or five times where we  
23 had to go around a patch that might've been 50 to 100  
24 feet long, because it was just a jumble of trees and  
25 brush that we couldn't penetrate. But you could

1 distinguish by sound and by the -- by water through it  
2 that it was a fast water unit. None of those hid a pool  
3 or a riffle, so we were able to see basically what was  
4 going on under there. But we couldn't get in and measure  
5 depths and widths and stuff, because it was just too  
6 tangled. So it was a small portion, but it was  
7 definitely several times.

8 MR. PETRUZZELLI: Okay. Did you take any  
9 temperature measurements?

10 WITNESS CRAMER: We did. It was about ten  
11 degrees. I forgot if it was the afternoon or -- we were  
12 there for several hours, so we had one at ten degrees,  
13 one at eleven.

14 MR. PETRUZZELLI: Are those in your report?

15 WITNESS CRAMER: Well, I thought they were.  
16 They're certainly on my data sheets and I would have to  
17 look to see if they did or did not get in there  
18 somewhere. But ten and eleven degrees were the two  
19 temperatures that we recorded during the course of our  
20 survey.

21 MR. PETRUZZELLI: So you don't -- do you recall  
22 -- so you don't recall exactly where they are in your  
23 report?

24 WITNESS CRAMER: I do not. I could do search  
25 real quick to see if I could find it.

1           MR. PETRUZZELLI: Okay. I did a search. I  
2 couldn't find any, but I --

3           WITNESS CRAMER: I do have it. I have the raw  
4 data sheets if -- and those do have it recorded in them.

5           MR. PETRUZZELLI: Are those entered into  
6 evidence?

7           WITNESS CRAMER: I don't think so. They may  
8 be. In fact, maybe it's on the table. I have no -- I'd  
9 have to look again. I could see if it's in there  
10 somewhere.

11          MR. PETRUZZELLI: Okay. You compare some prior  
12 surveys of Stanshaw to your observations during your site  
13 visit; is that correct?

14          WITNESS CRAMER: I was only there the one -- I  
15 was there that one time.

16          MR. PETRUZZELLI: So just some prior -- some  
17 prior -- do you -- did you compare some prior published  
18 fish counts of Stanshaw to --

19          WITNESS CRAMER: Yes.

20          MR. PETRUZZELLI: -- your more recent -- your  
21 onsite observations?

22          WITNESS CRAMER: Yes.

23          MR. PETRUZZELLI: Okay. Your current  
24 observation comes roughly a year after the drought; is  
25 that correct?

1 WITNESS CRAMER: The drought?

2 MR. PETRUZZELLI: The California --

3 WITNESS CRAMER: I believe there are many  
4 droughts, so --

5 MR. PETRUZZELLI: Yes, but the last year. But  
6 your site visit occurred a year after the end of the  
7 California -- the recent California drought; would that  
8 be correct?

9 WITNESS CRAMER: It occurred this October.

10 MR. PETRUZZELLI: Okay. All right.

11 WITNESS CRAMER: So yeah, you have droughts  
12 frequently, so in the course of my years working in  
13 California we've been through several.

14 MR. PETRUZZELLI: But I'm referring to our most  
15 recent drought.

16 WITNESS CRAMER: Yeah. Yeah.

17 MR. PETRUZZELLI: Would this be -- would the  
18 cohort you observed in your visit be one that would have  
19 been impacted by a recent drought?

20 WITNESS CRAMER: It could have been. Far more  
21 impactful than drought on the Coho is the ocean survival.  
22 And so we can have drought years, but fairly good  
23 returns. They don't always correspond with drought  
24 years, so we don't have data. I do not have data to  
25 correspond how many -- what the spawning escapement was.

1 It produced juveniles that should have showed up this  
2 year, so I can't really speak to what it would be. Other  
3 streams might be a good place to compare and see if  
4 they're all way down.

5 MR. PETRUZZELLI: Okay. And the published  
6 surveys you used as a comparison; were they cohorts that  
7 would not have been affected by the recent drought?

8 WITNESS CRAMER: They were over a period of  
9 years, so I had listed -- when I made that just when I  
10 listed the years, so in each year different flow,  
11 different spawner escapement each year. And the flow and  
12 that -- the flow that they'd experienced that summer and  
13 the spawner escapement that produced those juveniles,  
14 both things that might have influence, were not measured.  
15 I didn't have the spawner escapement. All I had was the  
16 data that had the counts of fish in the pond. I also  
17 didn't have data on how they got access to the pond,  
18 because I didn't have pictures of those years. So  
19 there's just numbers of fish in the pond and there's a  
20 year.

21 MR. PETRUZZELLI: But you didn't -- so you  
22 didn't look at the cohorts in these earlier surveys,  
23 whether they would have been impacted by the drought?

24 WITNESS CRAMER: The drought? Well, if they  
25 came before what's the drought then they were not

1 impacted.

2 MR. PETRUZZELLI: Okay. The drought from I  
3 think it was roughly what 2012 until 2016; is that?

4 WITNESS CRAMER: The years it had good numbers  
5 of fish, so we've definitely had drought before then as  
6 well. But there was a -- I listed the years that had the  
7 fish and obviously the fish could get into the pond.  
8 Obviously the flows into the pond were affected by the  
9 diversions from the operation of Marble Mountain Ranch in  
10 the way that you're saying is harmful. And now that  
11 there's not those diversions there's very few fish and  
12 there's physical impediments, manmade and put there that  
13 now prevent fish from getting there so easily. So those  
14 are the circumstances that we can see. And you're asking  
15 about other circumstances I didn't have and couldn't see.  
16 We don't know how they affected it, but you're asking  
17 about drought. Well, there was a drought and then -- and  
18 I don't have the escapements of spawners, so there's a  
19 whole lot of information that doesn't help assign cause  
20 and effect between the abundance of fish in those ponds  
21 and drought.

22 MR. PETRUZZELLI: Okay. Have you -- did you  
23 evaluate Coho populations elsewhere in the Mid Klamath  
24 River Basin at about the same time as you conducted your  
25 survey?

1 WITNESS CRAMER: In October of 2017, this year?

2 MR. PETRUZZELLI: Yes.

3 WITNESS CRAMER: I've not done -- I haven't  
4 seen anyone else's data for this fall nor did I do any.

5 MR. PETRUZZELLI: Okay. So you have not  
6 compared -- so you did not compare the count from your  
7 October 2017 survey to other -- to surveys in other parts  
8 of the Mid-Klamath Basin in October 2017?

9 WITNESS CRAMER: Correct.

10 MR. PETRUZZELLI: Okay. So you wouldn't know  
11 for instance, whether Coho populations are low throughout  
12 the Basin?

13 WITNESS CRAMER: In 2017, no.

14 MR. PETRUZZELLI: Okay.

15 MR. PETRUZZELLI: During your presentation  
16 you've indicated that the Coho population in Stanshaw was  
17 not sustainable. Was that an --

18 WITNESS CRAMER: I'm sorry, I was thinking  
19 about something else, so I missed the first part of your  
20 sentence.

21 MR. PETRUZZELLI: Okay. During your  
22 presentation you indicated that -- and forgive me if I'm  
23 being -- if it's Coho or other fish too, that the  
24 population in the thermal refugia pool was not  
25 sustainable. Was that something you indicated during

1 your presentation?

2 WITNESS CRAMER: No.

3 MR. PETRUZZELLI: Okay.

4 WITNESS CRAMER: I was -- I indicated -- so  
5 there was two things I may have said about not  
6 sustainable. I did say not sustainable is a population  
7 in the creek that is self-reproducing. In other words,  
8 it can't produce enough smelts to be sure to even have  
9 any adults returning in many years.

10 In the pool I said -- I may have used a not  
11 sustainable in that the morphology of that pool is not  
12 naturally sustained. So the way it functioned will  
13 change and that's -- so it's not sustainable at one  
14 specific configuration and ability of fish to access it  
15 or how deep it is. That's subject to change due to the  
16 flooding of the Klamath River.

17 MR. PETRUZZELLI: Okay. So that conclusion is  
18 based on your October 2017 site visit?

19 WITNESS CRAMER: It's based on the comparison  
20 of that --

21 MR. PETRUZZELLI: And on the conditions that  
22 were observed at that time?

23 WITNESS CRAMER: Yeah, it is based upon what I  
24 observed in 2017 and the photos I've seen that show the  
25 site quite different only a few years ago.



1           MR. PETRUZZELLI: Okay. I was going to ask you  
2 about one of those photos. The photo from, I think you  
3 described it as after the 2013 restoration project at  
4 Snowy?

5           WITNESS CRAMER: Snowy yes, yeah.

6           MR. PETRUZZELLI: Did you take that photo?

7           WITNESS CRAMER: No. That photo is in the  
8 final report and it -- that was prepared by the Mid  
9 Klamath Watershed Council.

10          MR. PETRUZZELLI: Okay. And you also indicated  
11 that high flows from the Klamath could alter the pool;  
12 was that correct?

13          WITNESS CRAMER: Yes.

14          MR. PETRUZZELLI: Alter it pretty substantially  
15 from year to year?

16          WITNESS CRAMER: They can, yes.

17          MR. PETRUZZELLI: Yeah, so they could continue  
18 to alter the pool; is that --

19          WITNESS CRAMER: Correct.

20          MR. PETRUZZELLI: Is that a possibility?

21          WITNESS CRAMER: Yes.

22          MR. PETRUZZELLI: Okay. They could alter it  
23 for the worst?

24          WITNESS CRAMER: Correct.

25          MR. PETRUZZELLI: They could alter it for the

1 better?

2 WITNESS CRAMER: Correct.

3 MR. PETRUZZELLI: They could keep it the same  
4 roughly?

5 WITNESS CRAMER: You would not stay the same.

6 MR. PETRUZZELLI: Okay. But they would  
7 continue to change it?

8 WITNESS CRAMER: Yes.

9 MR. PETRUZZELLI: Okay. So right now that's  
10 all the questions I have for him.

11 HEARING OFFICER MOORE: Okay. Thank you,  
12 Counselor.

13 MR. PETRUZZELLI: Yeah. How much time was  
14 that?

15 HEARING OFFICER MOORE: There's about 36  
16 minutes left, but this hour has -- yeah, per party you  
17 have one hour, so.

18 Okay. We'll next offer up cross-examinations  
19 to National Marine Fishery Service, Mr. Keifer? And  
20 after Mr. Keifer there'll be opportunity for the  
21 Department of Fish and Wildlife.

22 CROSS-EXAMINATION BY

23 MR. KEIFER: There we go. Hello, Mr. Cramer.  
24 My name is Chris Keifer. I'm an attorney with the  
25 National Oceanic and Atmospheric Administration. I just

1 have a couple of very quick questions for you.

2           On cross-examination, in answer to one of  
3 Mr. Petruzzelli's questions you said that there were  
4 things in the letter, the NMFS recommendation letter that  
5 implicated or tended to imply that spawning habitat was a  
6 concern. Do you remember that answer?

7           WITNESS CRAMER: Yes, I do.

8           MR. KEIFER: Okay. Can you identify the  
9 wording in that letter that --

10          WITNESS CRAMER: Well, so what I was --

11          MR. KEIFER: -- made that implication?

12          WITNESS CRAMER: Yeah. I can tell you what I  
13 was thinking about when I made that. So when it said,  
14 and I read back what I had responded to. I said because  
15 it asked for winter only 10 percent -- it wasn't just  
16 during the period when the pond was in use. Then it said  
17 it wanted no more than 10 percent all season long. That  
18 implied somebody was assuming some value of the stream or  
19 something somewhere that had to be protected. And so  
20 that's why I wanted to cover spawning in the stream. I  
21 wasn't clear what it was, but there was a recommendation  
22 to limit diversion during that whole winter season.

23          MR. KEIFER: The letter in question is Marble  
24 Mountain Ranch Exhibit Number 9. Can we pull that up and  
25 show it to the witness?

1 HEARING OFFICER MOORE: Yes. We'll just take a  
2 second.

3 (Exhibit MMR-9 displayed on screen.)

4 MR. KEIFER: If we can go to the second page of  
5 that letter. Do you see that heading underneath the  
6 photograph, Mr. Cramer, that reads, "Importance of  
7 Stanshaw Creek Flows to Coho Salmon and Stream Ecology"?

8 WITNESS CRAMER: I do.

9 MR. KEIFER: Okay. There's a couple of  
10 relatively short paragraphs in there. Is there any  
11 mention of spawning habitat?

12 WITNESS CRAMER: In that particular paragraph  
13 there's not.

14 MR. KEIFER: I don't want to take up too much  
15 of the Board's time. If I were to submit to you that  
16 there's no discussion of spawning habitat anywhere in the  
17 letter would you accept that characterization, Mr.  
18 Cramer?

19 WITNESS CRAMER: I guess I -- that is my  
20 impression, that it was not explicit. And again it was  
21 asking for the winter flows that caught my eye. That  
22 somebody's got a reason behind that, so I need to check  
23 out what uses would be made and that's a spawning season.

24 MR. KEIFER: Can we forward to Page 11 of that  
25 letter, just below Figure 7. Do you see that first

1 sentence under Figure 7, Mr. Cramer?

2 WITNESS CRAMER: I do.

3 MR. KEIFER: Can you read that out loud for us;  
4 just that first sentence?

5 WITNESS CRAMER: "In summary, Stanshaw Creek  
6 flow" -- "low flow periods" -- I'm sorry, let me just --  
7 this is a little bit -- "In summary, Stanshaw Creek low  
8 flows provide critical cold water to the Klamath River  
9 and access to cold water, off-channel refugia and food  
10 supply during low flow months."

11 MR. KEIFER: Would that summary sentence that  
12 encapsulates concerns in the letter implicate to any  
13 reasonable reader that spawning habitat was a concern?

14 WITNESS CRAMER: It would not. I think this  
15 statement is accurate. I'd concur with it.

16 MR. KEIFER: So would it be reasonable to  
17 conclude that the NMFS recommendations in this letter  
18 have nothing to do with spawning habitat?

19 WITNESS CRAMER: Again, I'll just go back to  
20 the same thing, for no reason at all while this says  
21 during summer low flow, it later says 10 percent year-  
22 round. I'm simply saying I wanted to find out what's  
23 going on year-round. I need to talk about fish functions  
24 that are used year-round to find out if there's a reason  
25 why you wanted to have it at other times of the year.

1 Spawning happens in the winter.

2 MR. KEIFER: Is thermal refugia a year-round  
3 concern?

4 WITNESS CRAMER: Thermal refugia is a summer  
5 concern, so it addresses summer concern. And then  
6 recommends a 10 percent reduction, no more than 10  
7 percent year-round, so those two are not congruent with  
8 one another.

9 MR. KEIFER: No more questions.

10 HEARING OFFICER MOORE: Okay. Thank you,  
11 Mr. Keifer.

12 Next, a opportunity for California Department  
13 of Fish & Wildlife to cross-examine.

14 MR. VOEGELI: I don't have anything.

15 HEARING OFFICER MOORE: Okay. Thank you.

16 Next the Karuk Tribe, if you have any questions  
17 for cross-examination?

18 CROSS-EXAMINATION BY

19 MR. HUNT: Good afternoon, Mr. Cramer.

20 WITNESS CRAMER: Good afternoon.

21 MR. HUNT: So just a couple of questions,  
22 because most of what I would have wanted to ask has been  
23 covered. But I do have one question; did you consider  
24 whether to undertake modeling the rearing capacity of the  
25 pool for Coho?

1                   WITNESS CRAMER: I considered it and thought  
2 that is much less well substantiated. Quite a range  
3 could be made. And I didn't have the explicit  
4 information and backing to do that in the same manner I  
5 could for a stream and so I chose not to do it for the  
6 pool.

7                   MR. HUNT: What information didn't you have?

8                   WITNESS CRAMER: Well, it's the typical  
9 densities that juveniles would rear at in pools of that  
10 size and the numbers that have been counted. And there  
11 have been from large to small across the years, a lot of  
12 variability. So you can't use that year -- those -- the  
13 data from that pool to talk about its capacity. And I  
14 just -- I've had to do that for other places and the  
15 numbers vary on what you'd find in a lake, in a beaver  
16 pond. So there's many conditions in the pool that could  
17 change over the years that I just thought that would be  
18 controversial no matter what I chose.

19                  MR. HUNT: Sorry, I'm just trying to formulate  
20 anything else I want to ask. So the Prosecution Team  
21 asked a couple of questions about this and I just wanted  
22 to follow up. Related to the drought, which close enough  
23 characterized 2012 to 2016, were the fish that you would  
24 have observed in the pool from a cohort that experienced  
25 whatever other impacts the drought may have had on their

1 numbers?

2                   WITNESS CRAMER: Well, so there are three-year  
3 Coho or three-year-old fish, so they would have -- what  
4 you'd find in 2017 should have been the -- and these are  
5 juveniles. So they would have been progeny of the  
6 spawning that occurred in 2000 -- winter 2016. So if  
7 there's a drought in 2016 those adults that came back in  
8 2016, three years back from that would be 2013, they  
9 would have been -- so you can extend it down. There's  
10 life cycles that intersected the drought.

11                   MR. HUNT: So there's two years. There's two  
12 times during this fish's -- you know, impacts on this  
13 particular --

14                   WITNESS CRAMER: Yes.

15                   MR. HUNT: -- fish's life history that were  
16 during drought periods?

17                   WITNESS CRAMER: That's correct.

18                   MR. HUNT: And did you make any attempt to  
19 evaluate the impacts that those conditions may have had  
20 on the value of the -- or not of the value, but on the  
21 numbers of fish that you may have observed?

22                   WITNESS CRAMER: Well, attempts is a -- failed  
23 attempts. There was no data available for what other --  
24 as I said I think the best way to look at that is what  
25 you found in other streams this year. What kind of an



1 abundance we have of Coho juveniles this year elsewhere.  
2 And nobody had reported that data where I could get it.  
3 The last -- and then as far as Stanshaw Creek goes the  
4 pond and in fact all of the mid-water ones I find  
5 basically no data after about 2012. So I can't --  
6 they've got reporting. I did consult the reports by the  
7 tribes on their evaluation of the Mid Klamath and Lower  
8 Klamath and I didn't find numbers for their observations  
9 in refugia after about 2012. I found the one study that  
10 had them in 2014. It was a small number, but comparable  
11 data were not readily available after 2012.

12 MR. HUNT: Were the numbers in 2014 at least  
13 partially potentially impacted by drought conditions?

14 WITNESS CRAMER: Those would be 2014 juveniles  
15 in the summer, would be the offspring of the spawning  
16 that came in the fall of 2013. Now, that's a drought,  
17 but the 2013 spawners were the offspring of 2010  
18 spawners. So they reared in 2011 when it was not the  
19 drought, so there would be -- I mean, it's just real  
20 variable on drought effects. And remember that when  
21 you're talking about fish in the pond the big issue here  
22 with the flow was not about their capacity of pond, it  
23 was about access to the pond, which is independent of  
24 whether it's a drought or not. Is there a channel of  
25 water that gets them to the pond?

1           MR. HUNT: Just one -- or just one other  
2 question or one other area of questioning is would the  
3 fish that use Stanshaw Creek, the Coho that use Stanshaw  
4 Creek, are they native fish?

5           WITNESS CRAMER: Well, that would be -- so they  
6 -- I don't know whether they were hatchery or wild,  
7 because the ones that we observed and the ones that  
8 others observed I believe are observed at distance by a  
9 snorkeler and it's hard to observe fin clips. I think  
10 the question you're asking is about whether they were  
11 produced in Stanshaw Creek or not. And if that's the  
12 question you're asking then there's no evidence at all  
13 that they've been produced in Stanshaw Creek. And I  
14 found no reports of anyone that there has ever been  
15 spawning of Coho observed in Stanshaw Creek.

16           MR. HUNT: So the correct term for discussing  
17 whether fish is -- uses Stanshaw Creek for spawning is  
18 "non-natal," and not "non-native"?

19           WITNESS CRAMER: Correct, non-natal. Yeah.  
20 Yeah, they weren't born there, but they migrate into the  
21 creek from the Klamath.

22           MR. HUNT: And is the -- does the Stanshaw  
23 Creek pool provides --

24           WITNESS CRAMER: Yes.

25           MR. HUNT: -- and Stanshaw Creek itself provide

1 useful, beneficial habitat for fish whether they spawn  
2 there or not?

3 WITNESS CRAMER: It has, yes. In some years,  
4 yes it does.

5 MR. HUNT: Thank you.

6 HEARING OFFICER MOORE: Okay. Thank you, Mr.  
7 Hunt.

8 Next for an opportunity to -- Old Man River  
9 Trust to do cross-examination. No? Klamath Riverkeeper,  
10 who I don't think is here. And CSPA, would you like to  
11 ask any questions of the witness? Please come forward.

12 Is everything okay over there? All right,  
13 good.

14 CROSS-EXAMINATION BY

15 MR. SHUTES: Good afternoon, Mr. Cramer. I'm  
16 Chris Shutes with the California Sportfishing Protection  
17 Alliance. I just have a couple of questions. When you  
18 visited Irving Creek for purposes of this hearing were  
19 the Marble Mountain Ranch hydropower facilities operating  
20 to your knowledge?

21 WITNESS CRAMER: They were not.

22 MR. SHUTES: Okay. So is it fair to say that  
23 the fisheries benefits in Irving Creek that you described  
24 this morning are not dependent on the discharge of water  
25 to Irving Creek from the Marble Mountain Ranch hydropower

1 facilities?

2 WITNESS CRAMER: That's correct. They are not  
3 dependent on those.

4 MR. SHUTES: Very good. That's all I have.

5 HEARING OFFICER MOORE: Thank you, Mr. Shutes.

6 And do we have a representative from the  
7 Pacific Coast Federation of Fishermen's Associations and  
8 Institute of Fisheries Resources? I don't think we have  
9 someone from that party here today.

10 Okay. And before we're done -- and thank you,  
11 Mr. Cramer, for participating -- I believe Board staff  
12 may have --

13 HEARING OFFICER MOORE:

14 Okay. At this point then would you like to ask  
15 questions for redirect?

16 MS. BRENNER: Yes, thank you.

17 HEARING OFFICER MOORE: Okay. Thank you. All  
18 right.

19 REDIRECT EXAMINATION BY

20 MS. BRENNER: So I just want to clarify it's  
21 your interpretation of the NMFS bypass flows that those  
22 are -- based on assumptions comparing other stream  
23 systems, not on direct data, correct?

24 WITNESS CRAMER: That's largely correct. The  
25 assumption that there should be a minimum 10 percent --

1 or a maximum 10 percent diversion of the flow is kind of  
2 a standard that is used broadly when there's not  
3 information that would help you determine otherwise. So  
4 instead of using site-specific information it's a broad  
5 generality you can apply, so that one does not use local  
6 data.

7 MS. BRENNER: Okay. And when Stanshaw flows  
8 are greater than 4 or 5 cfs does it -- is it your opinion  
9 that you should require 90 percent of the flow? That it  
10 -- that's the recommendation that you would make for this  
11 diversion?

12 WITNESS CRAMER: No. In fact, it may seem  
13 counterintuitive, but the higher the flow goes on  
14 Stanshaw Creek as far as any benefit you would get out of  
15 the stream goes down. Because of the very high gradient  
16 the velocities accelerate. Those step pools that will  
17 hold no fish whatsoever, because they're very high  
18 velocity, very turbulent at modest flows start to become  
19 calmer pools at real low flow. And there actually would  
20 be some pocket of water that has calm water suitable to  
21 hold fish at lowest flow that quite quickly becomes not  
22 suitable. The riffles as I illustrated with that one  
23 measurement, become less suitable the more flow you add,  
24 and that only got up to 14 cfs. The NMFS letter  
25 estimated what kind of flow frequencies there were and

1 they go way, way higher than 14 cfs. And it's really  
2 easy to see in that stream that that thing becomes one  
3 giant torrent with that kind of gradient as flows go up  
4 at higher flows in the winter. That would be detrimental  
5 to fish, so taking a few cfs certainly would not hurt.

6 MS. BRENNER: Okay. You indicated that there  
7 were fish in the Marble Mountain diversion ditch?

8 WITNESS CRAMER: They have been observed in the  
9 Marble Mountain ditch.

10 MS. BRENNER: Do you have any opinion as to  
11 where they come from?

12 WITNESS CRAMER: Yes. I guess I could just  
13 offer some ideas, because there's really not a whole lot  
14 of options. One of the options is that there could be  
15 some limited reproduction in the stream from trout that  
16 are present. And that could happen. There, as we noted  
17 in our entire survey walking the small stream, the entire  
18 4,000 feet of it did not see a single fish. That's  
19 really unusual.

20 On the other hand, it doesn't mean there was no  
21 fish there. So you could have limited production. They  
22 would have an extremely difficult time surviving the  
23 winter in that stream.

24 The other possibility is that it's from some  
25 upstream source. I didn't survey the rest of the stream.

1 I asked a question of Doug Cole. He said higher up there  
2 are some meadows and some channels in the meadows that  
3 are slow flowing and may have fish in that he thought  
4 perhaps were even stocked. I didn't check that out, so I  
5 don't know what could be upstream. But upstream sources  
6 certainly do provide fish to downstream places, so that  
7 could be a source. But I haven't confirmed whether  
8 that's possible or not.

9 MS. BRENNER: And the source is not from the  
10 thermal refuge pool?

11 WITNESS CRAMER: Definitely not from the  
12 thermal refuge pool. They could not have obtained access  
13 up that far.

14 MS. BRENNER: Okay. You noted in your report  
15 fish counts prior to 2016, correct?

16 WITNESS CRAMER: Yes, I saw -- I reported some  
17 fish counts prior to 2016.

18 MS. BRENNER: In this, in the off -- Stanshaw  
19 off-stream pond, correct?

20 WITNESS CRAMER: Yes.

21 MS. BRENNER: And do you recall generally what  
22 years that you noted that data?

23 WITNESS CRAMER: I do, because I made a little  
24 table for my notes here. Okay. So and this data comes -  
25 - I don't know how you identify -- this is -- excuse me.

1 I don't see a numbering on this sheet, but it was one of  
2 the exhibits apparently says, "Data collected by Six  
3 Rivers National Forest, Orleans Ranger District, Klamath  
4 National Forest, Happy Camper Ranger District, Karuk  
5 Tribe of California." And so it was an exhibit that I  
6 was able to find and look at what it listed for numbers.  
7 And within it for Stanshaw Creek they had one count in  
8 2005 for the pond, 156 Coho; in 2008, 2 -- in 1,000 -- in  
9 2008, 130 Coho; in 2010, 55; in 2012, 120; winter of  
10 2014, 105.

11 MS. BRENNER: Do any of those data also include  
12 the flow at the time of that fish count in Stanshaw  
13 Creek?

14 WITNESS CRAMER: There are years when --  
15 there's another set of tables and I didn't go through  
16 them all, but there is a way to start making some  
17 comparisons. This is a table that was supplied, I think  
18 by the Karuk Tribe. Mid Klamath tributary streamflow  
19 data collected by the Karuk Tribe and Klamath Six --  
20 Klamath and Six Rivers National Forests, 1996 to 2012.  
21 And so in that table there are flow data for a number of  
22 years for Stanshaw Creek at -- measured. It specifies  
23 where they were measured and what date they were  
24 measured.

25 MS. BRENNER: So in -- do you see -- in the



1 data associated with the flow and then in the fish count  
2 for let's say 2005?

3 WITNESS CRAMER: Gee, I'd have to compare a  
4 couple of tables here, but there's -- okay, so let me  
5 just look for 2005 -- 156 Coho were observed on September  
6 12th, 2005. This shows Stanshaw Creek 2005, September  
7 27th, 0.4 cfs below the diversion. You see it goes 100  
8 feet above Highway 96. So wherever that -- so that would  
9 be.

10 MS. BRENNER: So about 0.5 cfs?

11 WITNESS CRAMER: Yeah, 0.5 cfs. In August of  
12 that same year, 0.9 cfs at the -- right -- about 100 feet  
13 above Highway 96.

14 MS. BRENNER: Okay.

15 WITNESS CRAMER: So that'd be about the same  
16 location that we also show the impassable barrier.

17 MS. BRENNER: Okay. How about 2010?

18 WITNESS CRAMER: In 2010, okay this shows -- in  
19 2010 there was 55 Coho on July 20th. Okay. Here's July  
20 20 -- and that's 2009. July 13th, 2010 directly in  
21 Stanshaw Creek below the diversion by the highway. I  
22 think that there was a -- I think in the video it  
23 submitted it showed a channel that was above the highway  
24 that doesn't use -- I'm not familiar with that one. I  
25 don't -- but it's not used, so I think they're just

1 talking -- there's some location right by the highway,  
2 above the highway. On July 13th, 2.4 cfs; August 2nd,  
3 2.1; August 5th, 2.0; August 18th, 1.1; August 26th, 0.4.

4 MS. BRENNER: So generally the data that's  
5 developed by others, not your data but data that you've  
6 reviewed by others, indicates that even during low flow  
7 periods of Stanshaw Creek as low as 0.5 cfs there's still  
8 fisheries in the Stanshaw pond, thermal refuge pond?

9 WITNESS CRAMER: It does show that. And it  
10 would -- you'd have to compare your -- there's several  
11 years that you can do that exercise with the data.

12 MS. BRENNER: Is 2009 another example of that  
13 data?

14 WITNESS CRAMER: It is. In 2009, okay so in  
15 2009 it doesn't show any Coho. So the numbers I'd been  
16 giving you were Coho and here's the interesting thing.  
17 There's a comment column here and so in 2009 no Coho on  
18 July 13th. But it says in the comment column, "179  
19 juvenile steelhead and 1 juvenile Chinook were seen." So  
20 I assume they did snorkeling. In the column that lists  
21 Coho there was none, but they'd -- in several of these  
22 same years. So even for example back there in 2000 and -  
23 - is that -- 2008, 502 juvenile Chinook were in the pond.  
24 So there's other fish in the pond in these years as well.  
25 Not this year, there was a few steelhead and two Coho we

1 saw.

2 Okay. Your question in 2009, on -- yeah 179  
3 Chinook on July 13th.

4 MS. BRENNER: And is there flow data for that  
5 time period?

6 WITNESS CRAMER: 2009, July 13th. 2009, July  
7 28th 1/10th of a cfs, 22 feet below diversion; July 28th,  
8 60 feet above diversion 1.9 cfs. So there was above and  
9 below diversion that day. They did one of those where it  
10 was up at the upper part. Then on July 1st below  
11 diversion near Highway 96, so this would be way  
12 downstream then, 0.5 cfs. And again on August 3rd, 0.3  
13 cfs a hundred yards above the highway.

14 MS. BRENNER: Okay.

15 WITNESS CRAMER: So some very low flows there.

16 MS. BRENNER: So the data does suggest that  
17 during very low flow periods you still have fishery  
18 resources in the pond off of Stanshaw Creek?

19 WITNESS CRAMER: That's correct. Fish got --  
20 they were there, they had access some time.

21 MS. BRENNER: Do you recall the flow when -- of  
22 Stanshaw Creek when you were at the site?

23 WITNESS CRAMER: We estimated it was 5 cfs on  
24 the day of our survey.

25 MS. WEAVER: So before we move on if you could

1 just -- before when you're done if you could provide a  
2 copy of those charts to staff? It sounds like they're  
3 both exhibits. It sounds like KT-6 and KT-9, but we'll  
4 just want to make sure we're cross-referencing the --

5 WITNESS CRAMER: Okay. Great.

6 MS. WEAVER: -- same thing. Thank you so much.

7 MS. BRENNER: Can you indicate what benefit, if  
8 any, there would be to return the 3 cfs hydropower flow  
9 from Stanshaw back into -- well, from originally diverted  
10 from Stanshaw back to Stanshaw versus going to Irving?

11 WITNESS CRAMER: That wasn't that I wanted to  
12 estimate, and I would have to say evidence is equivocal  
13 on how the benefits would balance off between having it  
14 in one stream or other. Typically, it would be a  
15 standard policy of fisheries agencies that you would not  
16 allow one stream to be diverted to another, because it  
17 would cause homing troubles. For that reason it's very  
18 important if there's any spawning in Stanshaw Creek, and  
19 we show there's not a sustainable steelhead habitat,  
20 there's not Coho spawning, so there's not homing to  
21 Stanshaw Creek. You don't have to worry about losing  
22 homing if the water's in Irving Creek, so we can rule  
23 that out.

24 But still the question then is how about for a  
25 benefit to the fish use in the pond? And what we can see

1 is the fish were using the pond while it was being  
2 diverted. In turn, there was more water that could've  
3 been in the pond, but was over now in Irving Creek. Did  
4 that do any good? With some of the flow in Irving Creek  
5 it's hard to say whether more is better or at that time  
6 or not, but it's not the steep gradient -- it was not --  
7 it would not be likely a damaging problem at all in  
8 Irving Creek. So for those who think more flow is good,  
9 well Irving Creek is a more suitable habitat for  
10 producing fish than is Stanshaw Creek.

11 MS. BRENNER: Okay. I have nothing further.

12 HEARING OFFICER MOORE: Okay. Thank you,  
13 Counselor.

14 Do we have any recross-examination from first  
15 the Prosecution Team?

16 MR. PETRUZZELLI: Yes.

17 HEARING OFFICER MOORE: All right, come on up.

18 MS. WEAVER: As a reminder, recross is limited  
19 to the scope of redirect.

20 MR. PETRUZZELLI: I can't remember what's in  
21 redirect.

22 (Laughter.)

23 MS. BRENNER: Yeah, you do.

24 HEARING OFFICER MOORE: Yeah, we've been paying  
25 attention to what the scope was of the redirect, so we're

1 watching that.

2 MS. BRENNER: Yeah, I know (indiscernible).

3 RE-CROSS-EXAMINATION BY

4 MR. PETRUZZELLI: So Mr. Cramer, I wanted to  
5 ask you about some of the refuge habitat benefits over  
6 summer. And in particular, in your conclusion in your  
7 second report, Number 21, I think it's Conclusion 1 you  
8 acknowledge that the floodplain pool fed by Stanshaw  
9 Creek near the confluence with the Klamath River provides  
10 refuge habitat during summer and winter for juvenile  
11 salmonids; is that correct?

12 WITNESS CRAMER: Correct.

13 MR. PETRUZZELLI: Okay. And then in that  
14 conclusion -- and then I think it's Conclusion -- so but  
15 so you do agree -- you do acknowledge that the refuge has  
16 habitat both in the summer and winter?

17 WITNESS CRAMER: Yes, I do.

18 MR. PETRUZZELLI: Okay. And then I think it's  
19 Conclusion 2 you also indicate that -- do you then agree  
20 with NMFS that the key months when salmonid, juvenile  
21 salmonids seek access, is spring in May and June and then  
22 again in fall and winter?

23 WITNESS CRAMER: Yes.

24 MR. PETRUZZELLI: Okay. And it's fall and  
25 winter when, as you describe it, stream flows rise in

1 response to rainfalls?

2 WITNESS CRAMER: Yes.

3 MR. PETRUZZELLI: Okay. So it does have -- so  
4 it has value in the spring?

5 WITNESS CRAMER: Yes.

6 MR. PETRUZZELLI: And then value, fall and  
7 winter?

8 WITNESS CRAMER: It has value in both those  
9 periods.

10 MR. PETRUZZELLI: Okay. And you also -- so you  
11 do conclude that juveniles would seek to access the pool  
12 during high-flow periods?

13 WITNESS CRAMER: Yes, that would occur.

14 MR. PETRUZZELLI: Okay. And then also in  
15 Conclusion 2 you indicate that access to the floodplain  
16 pool should be possible at flows between 2 to 3 cfs or  
17 more?

18 WITNESS CRAMER: Okay. Then so I'm glad that  
19 you ask that, because I never did go back to read --  
20 that's in my first report, not my second. I don't see --  
21 oh yes, the access to floodplain pool should be possible  
22 at flows 2 to 3. Okay. So I needed to correct it,  
23 because I had written that before I had gone back and  
24 analyzed not only -- so I got -- I had to submit this  
25 report before I finished it. You may find out that

1 there's some data presented there with no discussion of  
2 it. The 2 to 3 cfs was my initial thinking based upon  
3 comments of others. That was -- and in the first report  
4 I introduced it said everybody seems to be agreeing on  
5 about 2 to 3 cfs. And I had some number, something like  
6 that.

7           However, after reviewing the photos that I  
8 later saw of the pond reconfigured, looking and seeing  
9 that the pond had been substantially modified since that  
10 enhancement, something is causing big change in the pond  
11 that we can't control. So choosing a 2 to 3 cfs it was  
12 circumstantial dependent on the configuration of the  
13 pond. We've got 5 cfs now and it's not even close to  
14 being accessible until you remove all those rock berms.

15           So the amount of required is circumstantial. If  
16 it was naturally configured without a bunch of people  
17 trying to build it up, so it would be deeper it would  
18 likely have a more defined outlet, I think, so. And  
19 that's the best we can do, because it's -- we don't have  
20 that and those pictures to identify that.

21           MR. PETRUZZELLI: So is that why you then have  
22 this qualifier after the first clause in the first  
23 sentence of conclusion two where you say, "If people add"  
24 -- you add, "If people presented from" -- "If people are  
25 prevented from building rock berms." That passage in and



1 out of the pond, then?

2 WITNESS CRAMER: Correct. That would change  
3 the configuration. You know, there's been a request to  
4 have people change their diversion, so fish could get in  
5 and then people promoting those have also built rock  
6 berms that prevent the fish from getting there. So it's  
7 kind of --

8 MR. PETRUZZELLI: I actually -- I was just  
9 going to ask, did you intend, because it looks like  
10 there's a word missing --

11 WITNESS CRAMER: There might be.

12 MR. PETRUZZELLI: Did you intend to say, "If  
13 people are prevented from building rock berms, that" --  
14 and this is where it looks like did you intend to say,  
15 "prevent passage of fish in and out of the pond"?

16 WITNESS CRAMER: Okay. Which -- now are you --  
17 which report are we in?

18 MR. PETRUZZELLI: It's -- so it's Conclusion 2,  
19 Page 22.

20 WITNESS CRAMER: Okay. Thank you.

21 MS. WEAVER: Can we put that on the screen?

22 (Exhibit MMR-21 uploaded to screen.)

23 MR. PETRUZZELLI: It's MMR-21, it's Page 22.

24 WITNESS CRAMER: No, no. Okay. No, I didn't -  
25 - see it's dated correctly. Only 2 to 3 cfs could work

1 under some circumstances, but those circumstances would  
2 require that the rock berms not be there.

3 MR. PETRUZZELLI: Now, I -- what I -- okay and  
4 that's great, so I'm -- it's just looks like there's a  
5 word missing in the second clause of that first sentence  
6 in Conclusion 2?

7 WITNESS CRAMER: It would be accessible "if  
8 people are prevented from building the rock berms that  
9 passage of fish in and out of the pond" -- oh, yes there  
10 is a word in there missing, interesting. Yeah,  
11 prevented, if they're prevented from doing those, that  
12 block passage.

13 MR. PETRUZZELLI: Ah, okay.

14 WITNESS CRAMER: "That block passage of fish,"  
15 thank you. Now, we've figured it out. Sorry about that.

16 MR. PETRUZZELLI: That's what I was trying to  
17 figure out.

18 WITNESS CRAMER: Okay. (Laughing.)

19 MR. PETRUZZELLI: Okay. Thank you. That's all  
20 the questions I have.

21 HEARING OFFICER MOORE: Well, good.

22 So Ms. Brenner, you didn't come up to do  
23 anything, but see -- to read?

24 MS. BRENNER: Well, I can't hear or read from  
25 back there, sorry.

1 HEARING OFFICER MOORE: Okay. Good, I'm with  
2 you.

3 So very good. Now, at this point I was made  
4 aware that staff might have some questions.

5 HEARING OFFICER MOORE: Oh, that's right. Is  
6 there anybody else who wants to do recross? Okay, Old  
7 Man River Trust. That means NMFS and DFW don't want to  
8 recross? Okay. And Karuk Tribe, no recross? Okay.

9 Mr. Fisher?

10 RE-CROSS-EXAMINATION BY

11 MR. FISHER: You said essentially, correct me  
12 if I'm wrong, that given that there were fish in the pool  
13 when the flows are 1 cfs that that's an indication that 1  
14 cfs is enough?

15 WITNESS CRAMER: For water quality, the fish  
16 were alive.

17 MR. FISHER: How about fish habitat in general?

18 WITNESS CRAMER: I covered the fish habitat.  
19 We measured it at 5 cfs and the limiting factor then was  
20 high velocity. We didn't measure it at 1 cfs, but much  
21 of the high velocity habitat would have become more  
22 desirable at 1, because there's a lot of carved out  
23 pockets that are very fast as it plunges as a step-pool  
24 kind of a formation.

25 MR. FISHER: You said there were fish in the

1 pool at a time when the flows were low. I don't recall  
2 the exact amount. And your response to her was  
3 essentially that means that it was adequate for fish  
4 habitat. Is that essentially what you're saying?

5 WITNESS CRAMER: In the pond?

6 MR. FISHER: In the pond, yes. Correct.

7 WITNESS CRAMER: It was -- yes, it was adequate  
8 for the fish to survive in the pond.

9 MR. FISHER: Okay. Are you aware that the fish  
10 come in when the flows are higher?

11 WITNESS CRAMER: Very much.

12 MR. FISHER: Okay. Are you aware that when the  
13 flows are low they cannot get out?

14 WITNESS CRAMER: That was my point.

15 MR. FISHER: What do you mean that was your  
16 point?

17 WITNESS CRAMER: My point throughout was that  
18 there's rock berms all over that prevent them from --

19 MR. FISHER: No, no, no --

20 WITNESS CRAMER: -- going in or out.

21 MR. FISHER: Out of the pool?

22 WITNESS CRAMER: Out of the pool. They cannot  
23 go out.

24 MR. FISHER: The rock berms don't block the  
25 pool from the river --

1 WITNESS CRAMER: Yes, they do.

2 MR. FISHER: -- the rock berms guide -- I live  
3 there.

4 WITNESS CRAMER: Good.

5 MR. FISHER: The rock berms guide the creek to  
6 the pool and then they can't get out?

7 WITNESS CRAMER: The only way the fish can get  
8 out of that pool is to go upstream, back up to the point,  
9 and go back down through the -- they can -- the water's  
10 flowing through the berms. I showed the picture. I  
11 inspected that whole berm blocking the way out. There  
12 was no overflow. It was flowing through the pores in the  
13 rocks out of the pond.

14 MR. FISHER: Okay. For clarification for the  
15 Board the creek goes into the pool, and then the creek  
16 leaves the pool.

17 MS. BRENNER: I have an objection, the witness  
18 is testifying. He (indiscernible)

19 HEARING OFFICER MOORE: Sustained.

20 MR. FISHER: That's fine.

21 Okay. So (chuckles) you acknowledge the fish  
22 get in the pool and then can get trapped when flows are  
23 low?

24 WITNESS CRAMER: Correct.

25 MR. FISHER: Just one more question, when you

1 visited the site how'd you get there, by car or by boat?

2 WITNESS CRAMER: We surveyed the stream  
3 channel.

4 MR. FISHER: How did you get there, by car or  
5 by boat, did you drive there or did you come from the  
6 river?

7 WITNESS CRAMER: I went down -- straight down  
8 the stream channel when we measured the channel units.

9 MR. FISHER: By foot then?

10 WITNESS CRAMER: Yes, straight down the stream  
11 channel.

12 HEARING OFFICER MOORE: Any other recross?  
13 CSPA?

14 Mr. Shutes?

15 RECROSS-EXAMINATION BY

16 MR. SHUTES: Hello again, Chris Shutes for the  
17 California Sportfishing and Protection Alliance. In your  
18 -- in the redirect testimony you stated that there was no  
19 benefit to increased flow in Stanshaw Creek above a  
20 certain point, and I believe it was about 2 cfs. Is that  
21 a fair characterization?

22 WITNESS CRAMER: No. I didn't pick a number.  
23 I said at 5 cfs, probably less would be better, but --

24 MR. SHUTES: Okay. That's the --

25 WITNESS CRAMER: -- determination of the exact

1 number we didn't come up with.

2 MR. SHUTES: Fair enough, you said 5 wouldn't  
3 be too much, but you were speaking about fish that were  
4 in the creek as opposed to the pool; is that correct?

5 WITNESS CRAMER: Correct.

6 MR. SHUTES: Okay. So wouldn't the benefit of  
7 increased flow of fish of a water into the pool depend on  
8 the configuration at that time of the creek in relation  
9 to the pool?

10 WITNESS CRAMER: So if I'm understanding your  
11 question right, the configuration of the creek to the  
12 pool influences what arrives at the pool?

13 MR. SHUTES: Right.

14 WITNESS CRAMER: Yes.

15 MR. SHUTES: Okay. And you stated previously,  
16 and this goes to the characterization of the relative  
17 benefit of flow, you stated previously in your testimony  
18 that in 2017 the system -- that whole area basically are  
19 reset during high flows in the Klamath River; is that  
20 correct?

21 WITNESS CRAMER: That was my -- I believe that  
22 that's how it would have reset, because it doesn't --  
23 it's configured differently now than it was in the  
24 pictures of 2000 -- winter 2014.

25 MR. SHUTES: Right. And isn't it fair to think

1 that the existing configuration, regardless of the human  
2 manipulation, is going to change over time. And that  
3 what happened because of a very high flow in 2017 may not  
4 have the -- that what happened in a very high flow in  
5 2017, may not last into the next year or the year after  
6 that or the one after that?

7 WITNESS CRAMER: Agreed. Yeah, I definitely  
8 believe it will change over time depending on how it's  
9 scoured by the flows of the Klamath River.

10 MR. SHUTES: Is it possible that it could  
11 change from the flows of Stanshaw Creek even if the  
12 Klamath River did not reach that elevation?

13 WITNESS CRAMER: As it's configured now I can  
14 tell you what it largely would do, because as soon as it  
15 gets larger it's going to blow out the berms that were  
16 intended to direct the water straight a 45-degree right  
17 turn to go over to the pond. And they would head out  
18 across the bar and miss the pond. Now, some that would  
19 be the majority. I would imagine there may still be some  
20 to the pond. I'd have to do experiment to find out, but  
21 clearly berms are directing it in a direction it was not  
22 going naturally.

23 MR. SHUTES: But for about 20 years at least of  
24 the period of record that you discussed with Ms. Brenner  
25 there was greater flow into the pool and more fish were



1 using the pool than used it in 2017; isn't that correct?

2 WITNESS CRAMER: Part of what you said was  
3 correct. There was not more flow. There was less flow  
4 in those earlier years, but there were more fish in the  
5 pool I believe, probably because there was better access  
6 to the pool from the Klamath River.

7 MR. SHUTES: Okay. So really whether or not  
8 there are benefits to increased flow in the -- in  
9 Stanshaw Creek coming from the project's diversion really  
10 depends on the configuration in any given year of the  
11 Stanshaw Creek with relation to the pool. Isn't that  
12 fair?

13 WITNESS CRAMER: That is fair. So you could go  
14 back and look at the years where it was configured  
15 naturally before they started making a bunch of  
16 modifications, because it certainly seems to have been a  
17 problem since the modifications.

18 MR. SHUTES: Oh, okay. And how do we know that  
19 it was the modifications and not some other natural  
20 events that --

21 WITNESS CRAMER: We don't --

22 MR. SHUTES: -- changed it?

23 WITNESS CRAMER: -- fully, the only thing we  
24 know fully about the modifications is they clearly are  
25 causing an impediment to upstream migration.

1           MR. SHUTES:  And are you talking about the  
2 modifications in 2017 or are you talking about the  
3 modifications in 2013, which one of them?

4           WITNESS CRAMER:  Yeah, thank you.  So the ones  
5 that I can speak to are the ones that I observed on  
6 October 2nd, 3rd, those are the rock berms that are  
7 piled.  It shows a picture of me standing there and a  
8 rock berm blocking the tail that's -- and all the water  
9 flowing through the rock berm, that's artificial.  That's  
10 blocking it and that's human.

11           MR. SHUTES:  All right.  Thank you.

12           HEARING OFFICER MOORE:  Okay.  Thank you.

13           And I think that's it for potential recross and  
14 I would turn the Hearing Team.  Do we have any questions  
15 from staff based -- or to Mr. Cramer?

16           MS. WEAVER:  If we could take five minutes to  
17 (indiscernible)

18           HEARING OFFICER MOORE:  Sure.  Well, it's  
19 probably a good time for a break anyway, don't you think  
20 folks?  So we'll take five minutes to confer.  And please  
21 stick around, Mr. Cramer.  We'll be right back.

22                           (Recess taken at 2:25 p.m.)

23                           (Proceedings resumed at 2:36 p.m.)

24           HEARING OFFICE MOORE:  Okay.  We're good.

25 Thank you, Peter.

1 All right, at this time I'd like to turn the  
2 microphone over to Ms. Irby, who has a couple of  
3 technical questions for you, Mr. Cramer. Thank you.

4 WITNESS CRAMER: Thank you.

5 RECROSS-EXAMINATION BY

6 MS. IRBY: Hi.

7 WITNESS CRAMER: Hi.

8 MS. IRBY: Given that you observed fish in the  
9 pool during 2017, and you observed the rock berm that  
10 blocked their passage out from the pool, could you  
11 explain how you would expect that those fish entered the  
12 pool?

13 WITNESS CRAMER: Yes. Good question, because  
14 there seems to be a lot of misunderstanding how that  
15 works. So, and I described this in my first report and  
16 it's consistent with the way NMFS described it as well,  
17 the pond is accessible in the spring. So the  
18 redistribution of fish happens in the spring, as new  
19 juveniles emerge and the flows are high. They gain  
20 access to ponds, off channel ponds. Many of those ponds,  
21 not just Stanshaw Creek, but it's common for those ponds  
22 then to become really fish are trapped through the  
23 summer, in those ponds. And then in the fall as flows  
24 rise, fish can again get back out of the ponds.

25 Additionally, in the fall there's a whole bunch

1 of fish that redistribute as the flows rise plus all  
2 kinds of things change and fish move around. So in the  
3 fall you can get additional fish coming in, as access  
4 reopens. So movement in happens at higher flows  
5 different times of year. Summer, you just need enough  
6 water into that pond to sustain water quality, so the  
7 fish that are in it stay alive. And the data shows, as  
8 presented in my first report, that they grew well.  
9 There's some marking of history there, so that there's  
10 evidence that things are okay in that. It's not --  
11 there's evidence in every year, but where there is it  
12 looks good.

13 MS. IRBY: And to be clear we're talking about  
14 the Stanshaw pool, correct?

15 WITNESS CRAMER: Stanshaw pool pond.

16 MS. IRBY: Yes. So are you suggesting that  
17 flows this fall were higher at some point to allow those  
18 fish to enter?

19 WITNESS CRAMER: Good question. No, they could  
20 not enter in the fall. At the time I was there what I  
21 think is they were probably as high as they had been. I  
22 suppose they could have been temporarily higher. There  
23 were some rains. But I don't know what flow it would  
24 take with all those rock berms in the way to get them in  
25 there. Those fish probably were there all summer.

1 MS. IRBY: So were spring flows high enough for  
2 them to enter, or do you --

3 WITNESS CRAMER: Oh, yeah. Spring flows are  
4 far higher. So you have much higher flows out of  
5 Stanshaw. You have way higher river out of Klamath, so  
6 the whole situation's a lot different in the spring.

7 MS. IRBY: Okay. So that barrier was not a  
8 problem for them in the spring, particularly?

9 WITNESS CRAMER: Well, all I can say is likely  
10 not.

11 MS. IRBY: Okay.

12 WITNESS CRAMER: I wasn't there and we don't  
13 know for sure exactly when those fish got there.

14 MS. IRBY: Okay. Are you aware how readily  
15 accessible the Irving pool might be to fish?

16 WITNESS CRAMER: Well, I think it was -- there  
17 was fish in it at the time I was there in October. It's  
18 a relatively shallow pool, but it had good cover with  
19 vegetation all around it, and it was only I think perhaps  
20 20 feet from the edge of the river. So I think fish  
21 could have gotten into the portion of the stream that was  
22 flowing into that little pond.

23 MS. IRBY: Okay. If spawning is possible in  
24 Irving Creek, do you think that the diversion flow from  
25 Stanshaw into Irving might affect the return signal for

1 migrating salmon returning to Irving Creek? Could they  
2 be thrown off by --

3 WITNESS CRAMER: Oh, no. They wouldn't be,  
4 because they would detect Irving Creek. So just any  
5 tributary, think of it in reverse, any stream that they  
6 home to they've got to navigate up a whole bunch of mixed  
7 signals to find "the" signal. An Irving Creek signal  
8 will only come from Irving Creek. So they'll find Irving  
9 Creek.

10 MS. IRBY: Okay. Lastly, I just wanted to ask  
11 in your snorkel survey you assumed a 50 percent  
12 observation rate in order to get your estimate for the  
13 number of fish in the pool?

14 WITNESS CRAMER: And that was -- when I say  
15 assumed I was giving you that as a -- just a rough off  
16 the hand. You know, the right way would be to  
17 electrofish the whole pool tag -- a mark recapture would  
18 be the right way to do it, which is a long process and  
19 you've got to get a permit to handle the fish. So I'm  
20 just telling you I think roughly doubling it is a quite  
21 reasonable assumption, but you could choose another  
22 number in that range. It's still -- you'd have to blow  
23 them up a long ways to get enough to be a sustainable  
24 population.

25 MS. IRBY: So that was based on conditions that

1 you observed at the pool; that 50 percent seemed  
2 reasonable?

3 WITNESS CRAMER: Yes.

4 MS. IRBY: Okay.

5 HEARING OFFICE MOORE: Great. Thank you,  
6 Ms. Irby.

7 During your testimony, you mentioned some  
8 measurements of temperature that haven't been entered  
9 into evidence yet. And if that's the case --

10 WITNESS CRAMER: Ah.

11 HEARING OFFICE MOORE: Oh, unless they are  
12 associated with an exhibit in the MMR list or other I was  
13 going to request that you submit the information to  
14 support the temperature data that you included in your  
15 testimony.

16 MS. BRENNER: Yeah.

17 HEARING OFFICER MOORE: And that could be  
18 another exhibit in the Marble Mountain Ranch list.

19 MS. BRENNER: That data come from other  
20 exhibits that have been submitted, so we have the  
21 exhibit.

22 WITNESS CRAMER: I think he's -- I think you're  
23 talking about when somebody asked me, "What was the  
24 temperature on the day you did it?" And it was 10. I  
25 said 10 and 11.

1 HEARING OFFICE MOORE: Right.

2 WITNESS CRAMER: And I can check to see if it  
3 -- I thought it was in here, but I -- for sure I can give  
4 a copy of the original data sheets that has it written on  
5 it. So let me check and make sure I don't get out of  
6 here without giving you that.

7 HEARING OFFICE MOORE: Okay, good. Well, we'll  
8 follow up on that, but in the event that it is -- has not  
9 been submitted into evidence at this point, I was  
10 requesting that it is submitted into evidence.

11 WITNESS CRAMER: Yeah. Okay.

12 MS. WEAVER: And do you have an ETA for when  
13 you'd be able to get that to us? I mean, I don't know if  
14 you have it just on a laptop or you need to actually go  
15 back to the office.

16 WITNESS CRAMER: I can do it here.

17 MS. WEAVER: Okay.

18 WITNESS CRAMER: Today.

19 MS. BRENNER: We have the data. We have it  
20 right here.

21 WITNESS CRAMER: No, now this is different  
22 data. This is from my survey.

23 MS. BRENNER: Okay.

24 WITNESS CRAMER: He's talking about the day I  
25 was there what did I -- and I put a thermometer in and



1 measured the stream temperature.

2 MS. BRENNER: Okay.

3 WITNESS CRAMER: Yeah, I have it here.

4 HEARING OFFICE MOORE: All right, excellent.

5 Thank you. I appreciate that. Okay. Well, I believe  
6 that is the --

7 (Overlapping voices.)

8 MS. MCCUE: Can I ask one question? Sorry.

9 HEARING OFFICE MOORE: Oh yes, Ms. McCue.

10 MS. MCCUE: I just had a question.

11 HEARING OFFICE MOORE: Oh yes, sorry. Mr.  
12 Cramer, one more question. Thank you.

13 RE CROSS EXAMINATION BY

14 MS. MCCUE: On redirect, when you were reading  
15 from all the -- from the pages what do you -- what  
16 exhibits were those -- were those exhibits that --

17 WITNESS CRAMER: Oh. You're talking about the  
18 tables?

19 MS. MCCUE: Yeah.

20 WITNESS CRAMER: Yeah. That was the same ones  
21 that we were -- I was just thinking that I needed to go  
22 find. We have full copies. I just have some of my  
23 personal ones here, but they're an exhibit.

24 MS. BRENNER: Those are Karuk Tribe exhibits.

25 MS. MCCUE: Okay.

1 MS. BRENNER: Yeah, the Karuk's exhibits have  
2 that data. We could (indiscernible)

3 MS. MCCUE: I just remembered I wanted to -- or  
4 maybe they could come back later and say what they were  
5 just to have it on the record, so we can correlate and  
6 tie it back?

7 WITNESS CRAMER: Yeah.

8 HEARING OFFICE MOORE: Yeah, specifically which  
9 ones that you were reading from.

10 WITNESS CRAMER: Yeah. I can find it real  
11 quick.

12 MS. FULLER: I believe it's here.

13 MS. BRENNER: Yeah. They're not marked.

14 HEARING OFFICE MOORE: Yeah.

15 (Off mic colloquy to locate documents.)

16 MS. FULLER: They're this one and --

17 MS. BRENNER: What's it called?

18 MS. FULLER: It's Karuk Tribe-6 and Karuk  
19 Tribe-8.

20 HEARING OFFICE MOORE: All right, so they're  
21 Exhibits KT-6 and KT-8 --

22 WITNESS CRAMER: Yes, those are the right ones  
23 that I looked at.

24 HEARING OFFICE MOORE: -- were the reports you  
25 were quoting from --

1 MS. MCCUE: Thank you.

2 HEARING OFFICER MOORE: -- during your  
3 testimony?

4 WITNESS CRAMER: Yes.

5 HEARING OFFICE MOORE: Okay. Good question.  
6 Thanks, Ms. McCue.

7 And I believe with that, that is the end of Mr.  
8 Cramer's testimony.

9 WITNESS CRAMER: Thank you.

10 HEARING OFFICER MOORE: And we appreciate you  
11 traveling here in a timely manner, so we could stay  
12 roughly on time.

13 We're going to switch gears now and we're going  
14 to invite Old Man River Trust. And their direct  
15 testimony as well as direct testimony from witness Phil  
16 Alpers, (sic) as part of our attempts to accommodate  
17 folks' complex schedules given how far people have had to  
18 travel.

19 Phil Albers, with a "b". So I'd like you to --

20 MR. FISHER: If it's okay, I would let Phil go  
21 first?

22 HEARING OFFICE MOORE: Yes, so I want to hear  
23 your opening statement first. That was the plan. And  
24 then to direct testimony from Phil Albers followed by any  
25 cross-examination in the order I have previously

1 identified. Redirect and recross examination of the  
2 witness may then be permitted.

3           And so is Mr. Albers here? Please come up and  
4 sit at the witness location. And any witness testifying  
5 at this time, I would ask you to please stand and raise  
6 your right hand.

7                           PHILIP ALBERS, JR.

8           called as a witness by the Interested Party

9           Old Man River Trust, having been previously  
10          duly sworn, was examined and testified further  
11          as hereinafter set forth:

12          WITNESS ALBERS: Yes. I do.

13          HEARING OFFICE MOORE: Thank you very much.

14 You may be seated. I appreciate it.

15          And, Mr. Fisher, you may proceed.

16          MR. FISHER: So I would just offer to Phil a  
17 broad question. What's your relationship to Stanshaw  
18 Creek and how do you use it?

19          HEARING OFFICE MOORE: So at this point you've  
20 decided to go into direct testimony and not do your  
21 opening statement?

22          MR. FISHER: I can. I guess earlier I thought  
23 we were worried about time, but we can do both now.

24          HEARING OFFICE MOORE: I'm open to either.

25          MR. FISHER: Okay. Well --

1 (Off mic colloquy.)

2 HEARING OFFICE MOORE: Okay. Do the opening  
3 statement.

4 MR. FISHER: I'll be brief with this.

5 I will -- I'll submit evidence and direct  
6 personal testimony showing that the Marble Mountain Ranch  
7 diversion does in fact constitute waste and unreasonable  
8 use under the California Constitution. And it does harm  
9 public trust resources, and also that there are remedies,  
10 there are solutions. Per the second question that posed  
11 for this conference there are remedies that will mitigate  
12 or completely prevent harm to the fisheries and public  
13 trust resources and will not -- that will minimize  
14 economic harm to Marble Mountain Ranch or cost very  
15 little.

16 MR. FISHER: So to the point of public trust  
17 impacts and recreation, I guess I would open up to Phil  
18 Albers to say what he wants to say.

19 HEARING OFFICE MOORE: Okay.

20 DIRECT EXAMINATION BY

21 WITNESS ALBERS: *(Speaking in Karuk language.)*

22 I said my name is Phil Albers. I am a Karuk  
23 person of the Karuk Tribe. Right now I live in Orleans  
24 at 414 Ferris Ranch Road, 95556.

25 And my testimony goes back as far as I can

1 remember. I would -- as far as I have ever known my  
2 family -- okay, so let me go there. My family has  
3 ancestral ties to the Village of Ishiraam'hirak,  
4 (phonetic) which is identified as across the river from  
5 the mouth of the Stanshaw Creek. And that currently is  
6 an Indian land allotment up along the Forest Service  
7 property. So I have stories and family history that date  
8 back to before it was even documented through written  
9 materials. And those were passed on and shared with me  
10 as I grew up. And even from the time I was one year old  
11 -- well, I was born in October, so before my next  
12 birthday my family had traveled back to that land from  
13 Yreka where I was born and grew up and have always had  
14 connections to that land and to that place. So I grew up  
15 knowing that and understanding that and that being a part  
16 of my regular life, specifically during times of -- I  
17 guess like mini-family vacations.

18           And I remember playing in that creek, all along  
19 that creek and the pool or near it with my brothers, or  
20 my one brother and my two sisters and all my cousins and  
21 family. And we would spend time there and sometimes even  
22 when we weren't able to cross the river for the reason of  
23 sometimes in the early summer or late spring, Memorial  
24 weekend, we would travel across there. My family has a  
25 family cemetery on the other side of the river that every

1 year, several times throughout the year, we go and  
2 maintain and clean up and pay our respects. But  
3 sometimes during different times of the year the river  
4 would be too high to safely cross in a boat. We didn't -  
5 - we don't really have a motor boat that we use, we just  
6 row across. And if it's not safe for the kids or for  
7 some of our, at the time elders to go across, we wouldn't  
8 go. So we would still go there and try to maintain that  
9 practice, but also we'd stay on the other riverside right  
10 near the creek. And all of us kids would play in the  
11 creek and hear stories about how our family used to do  
12 the same thing all the way since anybody could ever  
13 remember.

14           So then as that happened and I grew up with  
15 that in my life, when I really started to pay attention  
16 and understand the habitat and the environment, I started  
17 to notice probably a little before high school what the  
18 creek was like. What it sounded like and really starting  
19 to have the ability to recall actual memories of it, so  
20 that I can reach back upon them when I'm at somewhere  
21 else. And I feel like for me that happened right around  
22 12, 13, 14 when I started to really like make designated  
23 memories of what was going on.

24           Anyway, so as I got older and I got into high  
25 school and I started becoming more active in sports and

1 other things, getting a job, my time there got a little  
2 bit less. And so when I did go back and I had that  
3 opportunity, I was really able to remember some things a  
4 little more clearly and then pick out differences. And  
5 between maybe 16, 17 and 18, before I left for college I  
6 just remember thinking that the creek had gotten a lot  
7 smaller than I previously remembered. And I remember  
8 going down there and just thinking like, "Oh, man. I  
9 used to have to jump across to get to the other point to  
10 go over here where me and my brother would have our  
11 little toy car tracks set up or whatever." And try to  
12 think about well, how did it change? You know, oh the  
13 creek changed, because we used to put our little boats in  
14 up here and race them down and see who could win. And  
15 you can't do that anymore and really started to pay  
16 attention to those things.

17           So then as I got older and even started my own  
18 family, I really wanted to make the dedicated effort to  
19 bring my children there and have an opportunity to relive  
20 some of those memories. And share some of those stories  
21 with -- from my grandmother and my family, my -- even my  
22 own childhood with my kids. And bring them there for  
23 that purpose in the hopes that they would be able to do  
24 that and maintain this line of a place for us to go as a  
25 family. And just in the last -- so I was able to do



1 that. My children were able to go there and we've had  
2 good times, really fun times to be there and have an  
3 opportunity to talk and be on the river and have our  
4 little mini-family vacations, so to speak.

5           And within the last two years specifically I  
6 have a daughter, she's two. So she's been able to go  
7 there every year of her life and have an opportunity to  
8 experience the creek at a little bit better place than it  
9 was for my other children when they were younger. So  
10 we've really appreciated that.

11           MR. FISHER: So I guess I would ask -- thank  
12 you, Phil -- I would ask if it's possible to bring up  
13 Exhibit OMRT-10.

14           (Exhibit OMRT-10 uploaded to screen.)

15           So Phil, you essentially around your teens the  
16 -- you saw the creek diminish and these last few summers  
17 it has been slightly better?

18           WITNESS ALBERS: Yeah. That's right. I feel  
19 confident with that, yes.

20           MR. FISHER: Okay. So to me this speaks to the  
21 public trust implications, correlated with the diversion  
22 of the creek, about the time Marble Mountain Ranch  
23 purchased the land. We were both teenagers. I'm  
24 slightly older. The flows went down dramatically to the  
25 point where it no longer made it to the river. And since

1 there was a recent enforcement action flows have  
2 increased dramatically and most -- more times than any of  
3 the previous years since Old Man -- since the Coles  
4 bought Marble Mountain Ranch, the creek has made it to  
5 the river. The recreation that's in the -- shown in the  
6 photos, if you can scroll down a little bit, has become  
7 more possible.

8           And speaking specifically to the public trust  
9 implications the cold water refugia, the cold water plume  
10 in the Klamath River, as a result of Stanshaw Creek  
11 entering the Klamath River is much larger. And that's a  
12 definite resource, public trust resource in the summer  
13 when the Klamath is unsafe to swim in. There's a clean  
14 cold water plume in the Klamath if it is allowed to reach  
15 the Klamath. So yeah, is there anything else you wanted  
16 to -- any other stories?

17           Okay. So later on when -- in the interests of  
18 time I just wanted to get this out of the way, but I will  
19 show evidence that this diversion is unreasonable, the  
20 method. And that there are remedies that we can -- we'll  
21 get into that with the next round. Thanks.

22           HEARING OFFICE MOORE: Thank you, Mr. Fisher.

23           MR. FISHER: Philip, yeah. If there's anything  
24 else, Phil, I'm done for now.

25           HEARING OFFICE MOORE: Well, as a -- or as a

1 witness then other have the opportunity to ask you  
2 questions. And so that's a direct testimony. So would  
3 the Division of Water Rights Prosecution Team like to ask  
4 any questions?

5 MR. PETRUZZELLI: Yes.

6 HEARING OFFICE MOORE: Come on up.

7 MS. WEAVER: (Indiscernible)

8 HEARING OFFICER MOORE: Oh, yes. Go ahead,  
9 Counselor.

10 MS. WEAVER: So I just wanted to note for the  
11 record, because Mr. Fisher hasn't taken the oath to the  
12 extent he was talking about his own experiences or  
13 conclusions we're not taking his testimony at this time.  
14 So just make sure that you -- yeah, my understanding is  
15 that you will be testifying later and I just wanted to  
16 make sure there's no confusion.

17 HEARING OFFICE MOORE: All right, thank you.

18 And Mr. Petruzzelli?

19 CROSS-EXAMINATION BY

20 MR. PETRUZZELLI: Mr. Albers, thank you for  
21 coming. So you talked about, you know in your memory  
22 thinking back and realizing that the pool is now smaller  
23 than it once was. In your memory, is there roughly a  
24 timeframe that you can think of when you noticed the pool  
25 getting smaller?

1                   WITNESS ALBERS:  Yeah.  I tried to reference  
2  it, because I don't -- I didn't actually think of it or  
3  reference it by my age, but more of what was happening to  
4  me in that time.  And I remember I noticed and I would go  
5  because I would miss some of my football practice for the  
6  high school to be working on the family cemetery.  And I  
7  was excused by the coaches.  And they -- you know, I mean  
8  -- anyways, so I started high school football I was 13.  
9  I turned 13 my freshman year.

10                  MR. PETRUZZELLI:  So do you know about how long  
11  that was, because I don't know how old you are.

12                  WITNESS ALBERS:  Yeah, it's all right.  I think  
13  I -- well I graduated in '97.  So I mean --

14                  MR. PETRUZZELLI:  From high school?

15                  WITNESS ALBERS:  Yeah.  Yeah, in 1997.  So --

16                  MR. PETRUZZELLI:  So if you were 18 when you  
17  graduated in 19 --

18                  WITNESS ALBERS:  Well, I was 17.  I was --

19                  MR. PETRUZZELLI:  Oh, 17.  Okay.

20                  WITNESS ALBERS:  -- 17 when I graduated, yeah.  
21  Yeah.

22                  MR. PETRUZZELLI:  Okay.  And you said you were  
23  -- you said you were about 13 when you noticed?

24                  WITNESS ALBERS:  Yeah.  Yeah.

25                  MR. PETRUZZELLI:  So that would be about 1993?

1                   WITNESS ALBERS: Well, I mean I'm sorry, that's  
2 not when I noticed the decline in water.

3                   MR. PETRUZZELLI: Oh, okay.

4                   WITNESS ALBERS: That's when I -- like what I  
5 was saying that's when I started to notice that, "Oh,  
6 this is what it's like. This is something I should," you  
7 know -- or consciously put into my memory and remember.  
8 So and then to continue with that it must have been when  
9 I started to get older and I was -- and I went there  
10 less, because I started to do things. So I would say  
11 like '96, '97 and '98; that those are the times when I  
12 started to at least feel like in my memory that --  
13 noticing, "This is less water." Like I was saying I used  
14 to be -- you know, I'd have to jump across. Now, I can  
15 just step over or, you know, it's not as loud. I used to  
16 stand right here and look at my family's house and hear  
17 the river and -- or the creek and feel it. And then I  
18 wasn't able to do that.

19                  MR. PETRUZZELLI: So it was about -- so about  
20 1997, '98, about you remember --

21                  WITNESS ALBERS: That's when, yeah.

22                  MR. PETRUZZELLI: -- a noticeable difference in  
23 the size of the pool?

24                  WITNESS ALBERS: Yeah, that's for me. Yeah.

25                  MR. PETRUZZELLI: Okay. I'm just asking about

1 your personal observations.

2 WITNESS ALBERS: Yeah.

3 MR. PETRUZZELLI: So okay, great. Thanks. And  
4 that's all I have for him.

5 HEARING OFFICE MOORE: Thank you, Mr.  
6 Petruzzelli.

7 Next, I'd like to ask Marble Mountain Ranch if  
8 you'd like to cross-examine the witness.

9 MS. BRENNER: Yes.

10 HEARING OFFICER MOORE: Ms. Brenner?

11 CROSS-EXAMINATION BY

12 MS. BRENNER: Has it been your experience when  
13 you visit the Stanshaw Creek that the conditions change  
14 over the years? In other words, one year may have a  
15 certain amount of flow and the next year may not have  
16 that amount of flow, due to different winter conditions.

17 WITNESS ALBERS: I don't know that I would say  
18 due to certain conditions, but yes. I think that there  
19 are variances every year.

20 MS. BRENNER: The creek system changes?

21 WITNESS ALBERS: Yes.

22 MS. BRENNER: It's a dynamic system. How many  
23 other creek systems along the Klamath River do you enjoy?

24 WITNESS ALBERS: Usually not quite to the  
25 extent of Stanshaw Creek, but I do spend time in them:

1 Camp Creek, Indian Creek. I mean, I'm speaking  
2 throughout roughly the same time that I remember as a  
3 kid: Elk Creek, Indian Creek, Ti Creek. I don't know if  
4 I said that one. And a couple of other smaller little  
5 streams, I guess you could say that I -- because I have a  
6 lot of walking grounds and trail grounds that I go with  
7 my family, so.

8 MS. BRENNER: And does your experience of those  
9 different creek systems that lead into Klamath also  
10 change on an annual basis; that they're also dynamic?

11 WITNESS ALBERS: (Clears throat) Excuse me.  
12 Yeah, I would say that. Yeah. Yeah. I don't think  
13 maybe quite to the extent of Stanshaw Creek and during  
14 that period of time, but yeah.

15 MS. BRENNER: And what's generally the time  
16 period that you visit Stanshaw Creek?

17 WITNESS ALBERS: Probably more so from early --  
18 well I guess mid-April all the way through November, even  
19 -- yeah, mostly November before Thanksgiving. Usually  
20 it's less. And I remember less. Now, it's a lot more,  
21 because I'm older. I control my own life. But when I  
22 was a kid it was just that early spring through that late  
23 fall, because my family would hunt on the other side of  
24 the river.

25 MS. BRENNER: So you still currently enjoy

1 Stanshaw Creek and have time in the pool at Stanshaw  
2 Creek?

3 WITNESS ALBERS: During the wintertime we don't  
4 really go into the pool too much, but yeah we still go  
5 down there to that area and spend time as a family and  
6 talk about things and --

7 MS. BRENNER: You swim?

8 WITNESS ALBERS: Yeah. When the weather's --  
9 when it's safe for the kids, yeah.

10 MS. BRENNER: Do you do anything else, recreate  
11 in any other ways around the pool?

12 WITNESS ALBERS: Sometimes my kids fish. My  
13 children like to fish or at least put a fishing pole in  
14 the water with a hook on it, you know. And I don't  
15 actually really promote them too much to go out there and  
16 try to catch fish. But they also explore and we've done  
17 I guess little contests where who can find the biggest  
18 water dog, or we call it a water dog, but we're talking  
19 about a salamander and slugs.

20 One of the best that I was making a reference  
21 to, or one of the experiences I had as a kid, was that my  
22 -- I bet my grandmother that I didn't feel like there  
23 were any fish in the creek. And she would tell me  
24 stories about how when she was a kid she felt the same  
25 way. And she bet her grandfather that there were no



1 creek (sic) in there and so he set up a line, set up a  
2 pole. And the deal was if he caught a fish she would  
3 have to eat a slug. And so he caught a fish, of course.  
4 You know, there was lot of fish in there at that time.  
5 And I think this must have been -- this must have been  
6 like the '40s, because she wasn't -- late '40s.

7           Anyway, so I made that same bet with her and I  
8 remember she put her line in and did everything. She  
9 said, "This is exactly what my grandpa did." And I had  
10 no fear at all. And then so she set it up and then we  
11 left and then we came back and there was the pole  
12 wobbling around. And I got like really sick in my  
13 stomach.

14                                 (Laughter.)

15           And I was like -- felt really nervous and it  
16 turned it was a salamander on the end that she had  
17 caught. So I didn't have to catch anything. But she  
18 said, "Well, let's try tomorrow." And I said, "No way,  
19 I'm not. I'm not betting." So . . .

20                                 (Laughter.)

21           MS. BRENNER: You didn't test that theory any  
22 longer, huh?

23           WITNESS ALBERS: No, no. I just said I'll  
24 listen to my Gram.

25           MS. BRENNER: But in your grandmother's opinion

1 there were fish in the pond at that time?

2 WITNESS ALBERS: Um-hmm.

3 MS. BRENNER: Do you know what year that was?

4 WITNESS ALBERS: Geez, I was -- I think I was  
5 10, so '89?

6 MS. BRENNER: Do you know how many years  
7 there's been a diversion point at Marble Mountain Ranch  
8 off of Stanshaw Creek?

9 WITNESS ALBERS: From my own understanding  
10 there, it's been there since before I was born. I don't  
11 know exactly where at or I don't have that. I didn't  
12 become aware of it until geez, probably I was 18 or 19.

13 MS. BRENNER: Okay, so -- okay. So you're not  
14 aware that there's been diversions at Stanshaw Creek into  
15 Marble Mountain for over a hundred years?

16 WITNESS ALBERS: I later learned that, but I  
17 didn't know that until, like I said I was like 19, or 18  
18 or 19, yeah.

19 MS. BRENNER: Okay. I have nothing further.

20 HEARING OFFICE MOORE: Thank you.

21 What does slug taste like, I was wondering.  
22 I'll get back to you on that.

23 (Laughter.)

24 WITNESS ALBERS: Yeah, yeah. Check with my  
25 kids, because I'm going to make that bet with them.

1 HEARING OFFICE MOORE: Well, yeah. You know,  
2 people eat snails, right?

3 Okay. Does the National Marine Fishery Service  
4 have any questions?

5 MR. KEIFER: We will not be cross-examining on  
6 the slug issue.

7 (Laughter.)

8 HEARING OFFICE MOORE: Good. Well, there's  
9 more there, I know it.

10 And Department of Fish and Wildlife?

11 MR. VOEGELI: No, thank you.

12 HEARING OFFICE MOORE: Okay. And the Karuk  
13 Tribe?

14 MR. HUNT: No, thank you.

15 HEARING OFFICE MOORE: No? Great. And  
16 Riverkeeper and CSPA?

17 MR. SHUTES: No, thanks.

18 HEARING OFFICE MOORE: Thank you, very good.

19 And any redirect testimony from Mr. Fisher?

20 No. Okay. Then no recross?

21 And at this time, thank you Mr. Albers, for  
22 traveling down here and sharing your experience and being  
23 a witness.

24 WITNESS ALBERS: Yeah.

25 HEARING OFFICER MOORE: We can keep going

1 trying to keep on track and at this point in the  
2 proceedings, we would -- and so you're free to go.

3 WITNESS ALBERS: Okay. Thank you guys, very  
4 much. I appreciate it.

5 HEARING OFFICE MOORE: Thank you for joining  
6 us.

7 MR. FISHER: Thank you.

8 HEARING OFFICER MOORE: We will continue with  
9 the Prosecution Team's remaining witnesses. And if you  
10 want to take a break we can, but otherwise the next phase  
11 is the Prosecution Team and the remaining direct  
12 testimony, followed by any cross-examination in the order  
13 that I previously identified.

14 So would you like to continue now? It's okay  
15 if you want to take some time.

16 MR. PETRUZZELLI: Yeah. If we can have a few  
17 minutes to set up and maybe take restroom breaks?

18 HEARING OFFICE MOORE: Sure.

19 MR. PETRUZZELLI: Yeah.

20 HEARING OFFICER MOORE: Okay. How does 10  
21 minutes sound?

22 MR. PETRUZZELLI: It sounds great.

23 HEARING OFFICE MOORE: 3:15, we will reconvene.  
24 Thank you.

25 (Recess taken at 3:06 p.m.)

1 (Proceedings resumed at 3:17 p.m.)

2 HEARING OFFICE MOORE: Okay. It looks like we  
3 have about 50 minutes remaining for direct testimony for  
4 the Prosecution Team. And doing a time check it's about  
5 -- almost 3:20. And so we really have an option to  
6 either jump into cross after their testimony, or just  
7 break and do -- begin cross the next day, because we're  
8 going to have to quit at 4:30 today. So Counselor, do  
9 you have a preference?

10 MS. BRENNER: I'm just trying to get a  
11 clarification, so what -- are you suggesting that they  
12 each do their direct exam all in a row?

13 HEARING OFFICE MOORE: Yes.

14 MS. BRENNER: And then --

15 HEARING OFFICE MOORE: As a panel

16 MS. BRENNER: -- and then just have cross as a  
17 panel?

18 HEARING OFFICE MOORE: That's right. Yes.

19 MS. BRENNER: That's fine.

20 HEARING OFFICE MOORE: That work?

21 MS. BRENNER: Yeah. That's fine.

22 HEARING OFFICE MOORE: Okay.

23 Okay, so without further ado, I would like to  
24 ask the witnesses to please stand and raise your right  
25 hand.

1 TARO MURANO, SKYLER ANDERSON and STORMER FEILER  
2 called as witnesses for the Petitioner, having  
3 been previously duly sworn, were examined and  
4 testified further as hereinafter set forth:

5 WITNESSES: Yes, I do.

6 HEARING OFFICE MOORE: Thank you. You may be  
7 seated. I appreciate that.

8 And Counsel, you may proceed.

9 DIRECT EXAMINATION BY

10 MR. PETRUZZELLI: All right. Go ahead.

11 DIRECT TESTIMONY OF DWR WITNESS PANEL

12 WITNESS MURANO: Good evening, everyone. My  
13 name is Taro Murano. I am a Senior Environmental  
14 Scientist for the Northcoast Enforcement Unit in the  
15 Division of Water Rights Enforcement Section. The  
16 testimony I've prepared is offered into evidence as  
17 Exhibit WR-7. I have taken the oath and I have no change  
18 to make to my testimony. My testimony will focus on the  
19 general background of Marble Mountain Ranch, the water  
20 rights, the timeline leading up to the current  
21 investigation and the enforcement action.

22 (Slides uploaded to screen.)

23 MMR is owned and operated by the family of  
24 Douglas and Heidi Cole. MMR is located at Highway 96 in  
25 Somes Bar, Siskiyou County.

1           Marble Mountain Ranch is a commercial dude  
2 ranch. MMR offers activities, such as guided horseback  
3 trail riding; arena horse riding in an arena with lights  
4 and guided whitewater rafting and kayaking in the Klamath  
5 region, jet boat tours, trap shooting at the shooting  
6 range, guided fly fishing and other activities that fit  
7 the western dude ranch theme. MMR offers gourmet and  
8 authentic ranch cuisine serving produce grown at the  
9 ranch and in a greenhouse, or locally-harvested fish as  
10 well as ranch style barbeque.

11           The ranch may host up to 50 people including  
12 seasonal staff during their busy season. Guests stay in  
13 cabins that include a bathroom and kitchen or  
14 kitchenette.

15           MMR has made significant improvements since the  
16 Division's inspections, which include a petting zoo, a  
17 bunk house for MMR seasonal staff, and a barbecue depot  
18 and trail improvements.

19           Water is diverted under a pre-1914 Claim of  
20 Right and two statements of water diversion and use from  
21 Stanshaw Creek, a tributary to the Klamath River.

22           The Diverter also has one small domestic use  
23 registration filed on December 1st, 1998.

24           The Diverters use the same POD, or point of  
25 diversion, for all their water rights. The POD is

1 located on Stanshaw Creek, on land owned by the U.S.  
2 Forest Service approximately three-quarters of a mile  
3 upstream from the Highway 96 crossing. The POD consists  
4 of a hand-stacked rock wing dam located on the south bank  
5 of Stanshaw Creek. The rock wing dam extends about  
6 halfway across the creek channel. An unlined ditch  
7 conveys the diverted water approximately half a mile to  
8 MMR's place of use for water diverted. According to the  
9 Diverter the POD and the ditch were constructed in the  
10 late 1860s.

11 MS. BRENNER: Can I just raise an objection?

12 HEARING OFFICE MOORE: Okay. Please explain.

13 MS. BRENNER: Yeah. To the extent that any of  
14 this direct testimony goes to challenging in the pre-1914  
15 water rights, I have a standing objection to any of that  
16 evidence being entered into the hearing for that purpose,  
17 and consistent with your ruling on the issue.

18 HEARING OFFICE MOORE: Yes, I'm not clear why  
19 an objection is needed if we've issued a ruling. But  
20 I've been clear that there's two key points to this  
21 hearing and the issue of the right is not one of those  
22 two issues.

23 MS. BRENNER: Yes, and for the record I want  
24 the standing objection to be stated for the record, so  
25 that I may use that if such evidence is entered into



1 during oral testimony.

2 HEARING OFFICE MOORE: Okay.

3 MS. BRENNER: Thank you.

4 HEARING OFFICE MOORE: Sustained.

5 Go ahead and continue.

6 WITNESS MURANO: Okay. The Diverters discharge  
7 non-consumptively used water to Irving Creek located  
8 approximately one-and-a-half miles downstream of Stanshaw  
9 Creek, its confluence with the Klamath River.

10 Stanshaw Creek has a drainage of approximately  
11 four square miles. It has a short, but significant  
12 section of Coho salmon habitat below the Highway 96  
13 crossing, including an off-channel pond located just  
14 upstream of its confluence with the Klamath River. The  
15 pool is filled by Stanshaw Creek water when high flows in  
16 the Klamath River subside, creating a high-quality summer  
17 and winter rearing habitat for juvenile Coho salmon  
18 migrating down the Klamath River.

19 The National Marine Fishery Service, Department  
20 of Fish and Wildlife, the Karuk Tribe and the U.S. Forest  
21 Service have all asserted that the Diverters diversion  
22 and use of water adversely impacts Coho and steelhead and  
23 their habitat. Juvenile Coho and steelhead have been  
24 documented in Stanshaw Creek and the off-channel pond  
25 provides excellent summer and winter rearing habitat for

1 juvenile salmonids.

2           The Diverters pre-1914 claim of appropriation  
3 originates from an 1867 claim filed by Mr. E. Stanshaw  
4 for 600 miner's inches or 15 cfs used for mining,  
5 domestic, irrigation use, on a large patented parcel  
6 patented on March 27th, 1911. Since then, the property  
7 has been subdivided and MMR now occupies a smaller  
8 parcel. Mining has ceased and MMR's current use of water  
9 include domestic use, irrigation and mostly hydropower.  
10 Today's use is limited by the capacity of the diversion  
11 ditch, which is about 3 cfs.

12           The Diverters filed Statement 15022 for  
13 domestic, irrigation, fish and wildlife protection or  
14 enhancement, fire protection, stock watering and claims a  
15 pre-1914 right to divert 0.49 cfs year round with a 2.5  
16 cfs diversion work capacity and a total annual diversion  
17 amount of 354 acre feet.

18           Annual supplemental statements for 2013 through  
19 2016 have not been filed. The deadline for filing annual  
20 supplemental statements is June 30th of each year.

21           The Diverters second statement, 16375, also  
22 claims a pre-1914 claim of right to divert 3 cfs for  
23 irrigation, domestic and hydropower usage year around  
24 with a total annual diversion amount of approximately  
25 1,950 acre feet. Supplemental statements filed for 2010

1 through 2013 report domestic use of water for 12 to 50  
2 persons seasonally. No annual supplemental statements  
3 have been filed for 2014 through 2016.

4           The Diverters small domestic registration  
5 allows the collection of 10 acre feet of water annually  
6 into their pond for domestic use. The registration  
7 renewal is required every five years and the Diverter  
8 renewed their registration in 2014. Among the other  
9 terms required in the registration, MMR must comply with  
10 Fish and Game Code Section 5937, maintain a method of  
11 measuring and bypassing sufficient water to satisfy  
12 downstream prior rights, and any DFW requirements.

13           The water right issues with the property date  
14 back to 1989, when the Diverters predecessor in  
15 interests, Robert E. and Mary Judith Young filed the  
16 application on March 17th, 1989. This application sought  
17 to divert and use water in the same manner as the  
18 Diverters divert and use water under their pre-1914 claim  
19 of right. The Youngs sought to appropriate 2,168 acre  
20 feet per year of water, at a rate of 3 cfs from Stanshaw  
21 Creek from January 1st to December 31st, for fish and  
22 wildlife protection and enhancement and power generation.  
23 The Diverters took ownership of the diversion and the  
24 application in 1994.

25           The Youngs claimed a pre-1914 right dating back

1 to E. Stanshaw in 1867. However, the prevailing view at  
2 the time was that most of the right had been lost due to  
3 forfeiture with the only rights for irrigation and  
4 domestic uses remaining. The Youngs therefore filed the  
5 application to appropriate water for hydropower purposes.  
6 After assessing the amount of water continually put to  
7 beneficial use without a period of non-use of five years  
8 or more, Division staff recommended 0.2 cfs for domestic  
9 use and 0.09 cfs for irrigation purposes.

10 Did I just skip something? Oh shoot, excuse  
11 me. I might have missed something here. I was just on  
12 the wrong slide, sorry. Let me continue. Okay.

13 The Youngs therefore filed the application to  
14 appropriate water for hydropower purposes. After  
15 assessing the amount of water continually put to  
16 beneficial use without a period of non-use of five years  
17 or more Division staff recommended 0.02 cfs for domestic  
18 use and 0.09 cfs for irrigation purposes. Another  
19 measurement included DWR Bulletin 94-6, estimated total  
20 annual use at 362 acre feet, approximately a half cfs and  
21 the flow capacity of the ditch at 1.25 cfs.

22 The Young's legal counsel stated that although  
23 the Youngs were unsure when the hydropower was installed  
24 the prior property owner had indicated that hydropower  
25 was installed between 1940 and 1942. When the Diverter

1 took ownership of the application, they too asserted that  
2 -- the pre-1914 basis for their right. I'm sorry. They  
3 too asserted the pre-1914 basis for their right, but the  
4 only evidence they had at the time was the 1867 claim  
5 filed by Mr. E. Stanshaw.

6 In 2000 the Division noticed the application.  
7 NMFS, US Forest Service, Department of Fish and Wildlife  
8 and the California Sportfishing Protection Alliance filed  
9 protests alleging the project would adversely affect  
10 resident fish species. James and Phyllis Fisher, the  
11 property owners downstream of MMR, filed a protest  
12 alleging that the Diverts would dramatically reduce flows  
13 in Stanshaw Creek, especially during the dry season,  
14 resulting in insufficient water for their domestic and  
15 irrigation needs and causing aesthetic impacts to the  
16 riparian property.

17 NMFS and DFW both offered to dismiss their  
18 protest if the Diverter agreed to certain conditions.  
19 Both agencies request that minimum bypass flows. NMFS  
20 requested that the Diverter return -tail water discharges  
21 to Stanshaw Creek. NFMS and DFW asserted that  
22 maintaining sufficient flows in Stanshaw Creek is  
23 important for maintaining the thermal refugia for  
24 salmonids and voiced concern that the Diverters actively  
25 would -- I'm sorry -- the Diverters activity would

1 adversely impact habitat.

2           In response to the protest filed by NMFS and  
3 DFW that asserted the need for minimum bypass flows the  
4 Diverter agreed to alter the diversion system to return  
5 flows back to Stanshaw Creek, if grant funding would  
6 cover the costs.

7           In 2001, the Klamath Forest Alliance filed a  
8 complaint against the Diverter alleging the diversion  
9 adversely impacts public trust resources, including but  
10 not limited to Coho salmon.

11           Division Enforcement staff conducted an  
12 investigation and observed that Diverters were diverting  
13 approximately 0.6 cfs at the time of the inspection.  
14 This amount of water diverted was insufficient to operate  
15 the Pelton wheel. Division staff also believed that 0.7  
16 cfs would be sufficient to maintain stream temperatures  
17 and maintain fish habitat at the mouth of Stanshaw Creek.  
18 But this recommendation was based on a single measurement  
19 during a single site visit in the month of October.  
20 Subsequent stream analysis by DFW and NMFS, have now  
21 indicated that higher flows are necessary to maintain  
22 thermal refugia and fish habitat.

23           When Division Enforcement staff completed the  
24 investigation, they recommended that the Diverters cease  
25 all diversions of water, whether pursuant to a pre-1914

1 appropriative water right or and -- I'm sorry,  
2 appropriative right or an appropriative right derived  
3 from their application or small domestic registration,  
4 unless the Diverters bypass the fish and flow below the  
5 POD to maintain adequate flow in lower Stanshaw Creek.

6           The Diverters did not secure grant funding and  
7 stated that they would not otherwise fund measures  
8 necessary to resolve the protests filed by DFW and NMFS.  
9 The Division therefore informed the Diverters that their  
10 application would be cancelled unless they provided a  
11 plan to comply with Water Code Section 1275(b).

12           In response the Diverters stated that they  
13 would rely on the pre-1914 claim of right instead of  
14 continuing to pursue the appropriation of water under the  
15 application. As a result, the Division cancelled their  
16 application and in an order dated January 7th -- and I'm  
17 sorry -- and then cancelled their application with an  
18 order dated January 7th, 2013.

19           After the Diverters chose to rely on their pre-  
20 1914 claim, the Mid Klamath Watershed Council  
21 commissioned a report to be prepared by Lennihan Law.  
22 The report was funded through a grant from the National  
23 Fish and Wildlife Foundation and was released September  
24 1st, 2014. The Lennihan Report was prepared in  
25 association with an ongoing stakeholder process involving

1 MMR's diversion. The report included water right files,  
2 MMR's chain of title, historical water use, the  
3 Diverter's comments and provided a summary of past and  
4 present water use of the Diverter and the Diverter's  
5 predecessor and interests.

6 The report determined that although the  
7 Diverter likely lacked a riparian water right the likely  
8 pre-1914 appropriative water right that can be exercised  
9 by the Coles, on Cole's Marble Mountain Ranch, is  
10 approximately 1.16 cfs with varying seasons of use. Mr.  
11 Cole stated to the Division staff that the 1.16 cfs was  
12 an amount that could allow MMR to still operate as a  
13 business.

14 The Lennihan Report found that the majority of  
15 the predecessor in interest right had been -- had not  
16 been put to continuous beneficial use and had been lost  
17 due to forfeiture. However, the Lennihan Report was  
18 completed before the court issued its decision in the  
19 Millview case and could not consider the impacts of that  
20 decision. The Millview case stated that a clash of  
21 rights was required for a forfeiture to occur.

22 On November 18th, 2014, the Mid Klamath  
23 Watershed Council and Cascade Stream Solutions released  
24 the Water Use Technical Memorandum prepared by Joey  
25 Howard, in conjunction with the Lennihan Report. And



1 assesses the Diverter's historical beneficial use of  
2 water and the manner in which the Diverter regulates the  
3 water diverted.

4           The technical memorandum states the following,  
5 "Hydropower does not exceed 0.36 cfs until after 1965 and  
6 it exceeds 0.66 cfs in 1994. The amount diverted varies  
7 with streamflow independent of demand. Under streamflow  
8 of less than 3 to 4 cfs, the majority of the creek flow  
9 is diverted by MMR. Water is diverted continuously  
10 throughout the year at a maximum rate possible. MMR  
11 stops diverting on rare occasions, usually during high  
12 flows when the creek flows risk damaging the ditch.

13           Power demand peaks in the summer during mid-  
14 afternoon. Water demand is greatest during the summer.  
15 MMR does not measure actual power production and use.  
16 And Mr. Cole has stated that power and water needs are  
17 met when diverting 3 cfs.

18           Thank you. And that concludes my presentation.

19           HEARING OFFICE MOORE: Okay. Please proceed.

20           TESTIMONY OF SKYLER ANDERSON

21           WITNESS ANDERSON: I need the -- I don't have  
22 the keyboard.

23           (Slides uploaded to screen.)

24           WITNESS ANDERSON: Good afternoon everyone. My  
25 name is Skyler Anderson. I am an Environmental Scientist

1 for the North Coast Enforcement Unit in the Division of  
2 Water Rights Enforcement Program.

3           The testimony I've prepared is offered into  
4 evidence as Exhibit WR-9. I have taken the oath and have  
5 no changes to make to my testimony. My testimony will  
6 focus on the most recent inspections and the current  
7 enforcement actions against Marble Mountain Ranch.

8           In 2013 and 2014, the Division received three  
9 complaints. The essence of the complaints was that  
10 diverters were dewatering Stanshaw Creek and harming  
11 public trust resources. The complaints included a video  
12 documenting the Diverters' point of diversion, diverting  
13 nearly the entire flow of Stanshaw Creek. On December  
14 17th, of 2014 Division staff toured MMR and attended a  
15 stakeholder's meeting regarding the MMR complaints.  
16 During the tour of MMR, Doug Cole told staff that he  
17 would be okay if the Division supported the numeric water  
18 right determination in the Lennihan Report.

19           On December 17th of 2014, stakeholders  
20 including California Department of Fish and Wildlife,  
21 National Marine Fishery Service, United States Forest  
22 Service, Mid Klamath Watershed Council, Karuk Tribe and  
23 Representatives Doug Cole and Konrad Fisher met to  
24 discuss the recent Lennihan Report, physical solutions  
25 and a potential process for obtaining public funding --

1 public funding assistance for a project. During the  
2 meeting NOAA staff indicated that fish kills had occurred  
3 in Stanshaw Creek. After the meeting I followed up with  
4 NOAA and the Karuk Tribe regarding the alleged fish  
5 kills.

6           The diagram above shows a general flow chart of  
7 where water is diverted and how it is used at MMR. The  
8 next half-dozen slides will describe each feature in  
9 greater detail. This photo shows what the point of  
10 diversion looks like in typical winter conditions. MMR's  
11 point of diversion consists of a rock wing diversion dam  
12 located on the south bank of Stanshaw Creek. The point  
13 of diversion lacks a permanent control structure to  
14 regulate the amount of water diverted from Stanshaw  
15 Creek. The point of diversion also lacks a fish screen  
16 or permanent mechanism for measuring diversions that is  
17 consistent with Senate Bill 88.

18           The point of diversion also requires regular  
19 maintenance. According to Mr. Cole, the Diverters  
20 currently regulate the amount of water diverted from  
21 Stanshaw Creek by manually rearranging the hand-stacked  
22 rocks on the diversion dam. Water is diverted via  
23 gravity at a point of diversion and conveyed  
24 approximately one-half mile in a partially lined and  
25 partially unlined ditch. The ditch is located on a

1 steep, heavily-treed hill slope, which resembles a narrow  
2 road cut on a steep hillside. The ditch requires regular  
3 maintenance due to sediment deposition, cut bank slumps  
4 and landslides.

5           During the February 12, 2015 inspection we  
6 could see there's limited freeboard space along the  
7 majority of the diversion ditch. The elevation of the  
8 outer berm crest of the diversion ditch varies greatly.  
9 Seepage, failure and washouts lead to significance (sic)  
10 conveyance losses in the ditch. This discharges sediment  
11 back into Stanshaw Creek and causes erosion and  
12 mudslides. It also increases the amount of water MMR  
13 must divert in order to meet its demand. The diversion  
14 ditch contains two outfall structures, downstream from  
15 the point of diversion to relieve excess amounts of water  
16 that would otherwise overflow the diversion ditch during  
17 periods of high flow in Stanshaw Creek.

18           The first outfall structure is located  
19 approximately 50 feet downstream of the point of  
20 diversion. It appears to operate in a similar manner as  
21 the point of diversion and requires regular augmentation  
22 of flashboard risers and rocks in the diversion ditch to  
23 manipulate the amount of water conveyed by the diversion  
24 ditch.

25           The second outfall structure is located

1 approximately 300 feet downstream of the point of  
2 diversion. Flashboards are used in the second outfall  
3 structure to manipulate the amount of excess water  
4 discharged from the diversion ditch.

5           The ditch continues to an inlet where water is  
6 routed to a water treatment facility, via a two-inch PVC  
7 pipe. At the time of inspection Marble Mountain Ranch  
8 used five 3,000 gallon plastic storage containers for its  
9 domestic water treatment and supply. At the time of  
10 inspection we observed numerous leaks in the tanks. The  
11 Diverters have indicated that since the inspection they  
12 replaced the tanks with new tanks and added additional  
13 tanks.

14           The ditch continues past the inlet for water  
15 treatment for water treatment facility and is then routed  
16 into a penstock for hydropower generation.

17           Shortly before the Pelton wheel the pipeline  
18 splits and diverts some water to irrigation. The Pelton  
19 wheel requires a minimum amount of flow to generate  
20 electricity. During an inspection, in 2002, staff  
21 observed water flowing through the hydro facility, but  
22 not enough to operate the Pelton wheel. In such a  
23 circumstance, water diverted in excess of the consumptive  
24 use demands would discharge to Irving Creek without the  
25 input to beneficial use. Mr. Cole has acknowledged

1 operating MMR's diversions this way and this is  
2 corroborated by the Cascade Stream Solutions Report.

3           The Diverters rely on a diesel generator when  
4 insufficient flow is available from Stanshaw Creek. This  
5 can occur due to low flows or when the ditch is  
6 inoperable due to fallen trees or landslides. According  
7 to the Diverters, 3 cfs is necessary to operate the  
8 Pelton wheel to meet their peak electrical demand. This  
9 occurs on hot summer days in the afternoon. At other  
10 times, this can result in excess or unnecessary power  
11 generation. According to the Cascade Stream Solution  
12 Report, MMR requires a heat sync system to dispense  
13 excess electrical generation to avoid overloading that  
14 system.

15           Irrigation flows are conveyed through a steel  
16 pipe that extend from the junction at the power plant to  
17 sprinklers located in the pastures and hose bibs located  
18 throughout the property. MMR irrigates about seven acres  
19 of garden and pasture.

20           Water flowing through the hydro facility  
21 discharges into a ditch that flows to a pond. The pond  
22 serves as a recreational feature and provides fire  
23 protection. Water discharges from the pond once the pond  
24 fills, then continues across the property south before  
25 dropping off a head cut to a ravine and into a tributary

1 to Irving Creek.

2           During the February 12th, 2015 inspection, I  
3 calculated that approximately 1.23 cfs was flowing  
4 through the pond and discharging to Irving Creek. During  
5 the February 12th, 2015 inspection I took three flow  
6 measurements at three locations in the ditch. Based on  
7 my flow measurements in the ditch, I calculated that at  
8 least 27 percent of water diverted at the Stanshaw Creek  
9 POD was lost in the conveyance system; 16 percent of the  
10 water diverted was consumptively used; 56 percent of the  
11 water diverted was used non-consumptively for  
12 hydroelectric power generation and discharge to Irving  
13 Creek.

14           There are two other water right holders in the  
15 Stanshaw Creek Watershed. One is upstream and one is  
16 downstream. The upstream diverter is Mountain Home and  
17 the downstream diverter is Konrad Fisher. Mountain Home  
18 uses a Harris wheel to generate hydropower and returns  
19 the tail water to the stream of origin. Mountain Home  
20 supplements its hydropower with a system of batteries  
21 charged by the Harris Wheel. They also have solar panels  
22 that also store power in batteries.

23           After investigating other water rights on the  
24 Stanshaw Creek we consulted with NMFS. According to NMFS  
25 the other diversions are too small to be even measured in

1 Stanshaw Creek. This means MMR is the only diversion of  
2 significance as far as public trust impacts are  
3 concerned.

4           On December 3rd, 2015 the Division and the  
5 Regional Water Board issued a joint letter to the  
6 Diverter. The letter included a Notice of Violation, a  
7 Draft Cleanup and Abatement Order and inspection reports  
8 from both the Regional Water Board and the Division of  
9 Water Rights. The Division's Report of Inspection  
10 identified misuse of water resulting in impacts to the  
11 public trust resources. The Division's Report of  
12 Inspection also prescribed corrective actions. The  
13 letter notified the Diverters that if they failed to  
14 respond in 30 days the Regional Water Board and the  
15 Division may pursue formal enforcement. The goal of this  
16 notice was to give MMR an opportunity to propose a  
17 solution and show we were serious about addressing the  
18 issue. The Division's Report of Inspection prescribed a  
19 host of corrective actions to eliminate the misuse of  
20 water and impacts to the public trust resources, as  
21 summarized above.

22           The Report of Inspection also evaluated the  
23 Diverters pre-'14 claim, which had been subject to much  
24 contention in at least two prior Division investigations.  
25 The main issue was how much of the original Stanshaw



1 claim had been lost to forfeiture. Before the Millview  
2 case, our understanding as investigators was that failure  
3 to put water to beneficial use for five consecutive years  
4 would lead to forfeiture. In 1998, the Division  
5 concluded that MMR's right was likely no higher than 0.49  
6 cfs based on a diversion reported in the Department of  
7 Water Resources Bulletin 94-6. A 2002 investigation  
8 determined that although MMR likely had a pre-'14 right  
9 for domestic and for irrigation uses, but not for  
10 hydropower. Hydropower use did not start until the early  
11 1940s.

12           With Millview, forfeiture required a clash of  
13 rights. Due to the lack of evidence of contesting claims  
14 the Report of Inspection stated that MMR pre-'14 water  
15 right may be up to the full capacity of the ditch, which  
16 MMR claims to be 3 cfs. However, the ROI also determined  
17 that the Diverters diversion and use of water could  
18 constitute a misuse of water and impacts to public trust  
19 resources.

20           On January 19th, 2016 the Diverters responded  
21 to the Division's December 3rd, 2015 letter. The  
22 Diverters now claim a 3 cfs right or excuse me, 3 cfs  
23 under the pre-'14 claim of right. The Diverter further  
24 claimed to have repaired all leaking water treatment  
25 tanks. The letter also outlined immediate and long-term

1 solutions to address concerns raised in the Regional  
2 Water Board's Draft CAO and the Division's Report of  
3 Inspection. Nonetheless, due to a lack of timeliness,  
4 specificity, identified consultants and other factors,  
5 the Division and the Regional Water Board concluded that  
6 the letter did not demonstrate any commitments to actions  
7 substantially addressing the concern outlined in the  
8 Regional Water Board's Draft CAO and the Division's  
9 Report of Inspection.

10           On February 12th, 2016 we informed the  
11 Diverters that we would begin pursuing formal  
12 enforcement. But we encouraged them to continue  
13 developing and implementing corrective actions, because  
14 their efforts of compliance would be considered.

15           On March 24th, 2016 the Diverters proposed a  
16 series of corrective actions and a timeline to eliminate  
17 misuse. They said that they retained Joey Howard and  
18 Will Harling as consultants and planned on installing a  
19 six-inch pipe in the diversion ditch by May, so that they  
20 could meet NMFS' flow recommendations.

21           On April 15th, 2016 the Diverters said they  
22 were finalizing their plans for the six-inch pipe.  
23 Furthermore improvements to Irving Creek outfall were in  
24 the final states of design and approval and on track for  
25 completion by May 15th, 2016.

1           By August 2016 the Diverters had taken some  
2 steps to eliminate their misuse of water and adverse  
3 impacts to public trust resources, but had fallen behind  
4 on their proposed time schedule. They had not stabilized  
5 the head cut at Irving Creek. They had not installed the  
6 six-inch pipe in the diversion ditch, or a head gate at  
7 the POD. They would no longer pursue the energy audit or  
8 water efficiency studies and said there was no need,  
9 because they could use the right the way they wished.  
10 After what was initially looking like some good progress,  
11 it looked like we were going nowhere.

12           In August of 2016 the Division received the  
13 updated flow recommendations from the National Marine  
14 Fishery Service. The flow recommendation was designed to  
15 be protective of Coho salmon by preserving the cold water  
16 pool at the confluence of the Klamath River. The  
17 instream flow recommended -- or instream flow  
18 recommendation required 90 percent of the unimpaired flow  
19 to be bypassed at the POD, when diversions for hydropower  
20 were not -- were are -- were -- excuse me -- when  
21 hydropower are not occurring. When diversions for  
22 hydropower are occurring a minimum of 2 cfs shall be  
23 bypassed at the POD and water that's not consumptively  
24 used shall be returned to Stanshaw Creek above the point  
25 of anadromy.

1           The Diverters six-inch pipe proposal was  
2 intended to support their consumptive use demands. As a  
3 part of that project we worked to resolve the lingering  
4 questions regarding such demands. For instance, in the  
5 Cascade technical memorandum, the amount of irrigated  
6 acreage included areas that were likely not irrigated.  
7 This led to a consumptive use demand of 0.353 cfs. The  
8 consumptive use estimates seemed wrong, so I corresponded  
9 with Joey Howard to refine those calculations. Using  
10 satellite images to get a more accurate amount of  
11 irrigated acreage we came up with a more precise number:  
12 0.18 cfs without a fire crew and 0.235 with a fire crew.  
13 Since the six-inch pipe would only be sufficient to  
14 support the Diverters consumptive demand they would have  
15 needed a second pipe for hydropower.

16           On August 30th, 2016 the Assistant Deputy  
17 Director for the Division requested that the State Water  
18 Board hold a hearing and receive evidence to consider  
19 adopting a draft order finding that the Diverters had  
20 misused water or were continuing to misuse water and  
21 ordering corrective actions. By this time, the Diverters  
22 were so behind that we believed an order imposing a time  
23 schedule and legal accountability would be the only way  
24 to resolve the issues with MMR.

25           Division Enforcement staff gave the Diverters

1 until June 30, 2018 to cease misusing water. We  
2 considered this a reasonable amount of time, because this  
3 was the time schedule the Diverters had proposed.

4           The Division wanted to resolve this issue and  
5 we do not want to have to revisit this issue in two  
6 years, see no progress and start all over. To avoid that  
7 problem, we set up a series of interim project  
8 milestones, based on the milestones the Diverters had  
9 proposed. If a milestone was met the parties could  
10 request postponement. Many of the milestones had already  
11 passed by the time the Division had requested the  
12 hearing. So we've postponed all of the deadlines that  
13 would have preceded the hearing request and moved them to  
14 after the hearing request. This gave the Diverters extra  
15 time for many of the early tasks. We thought this would  
16 give the Diverters a reasonable amount of time to  
17 complete the milestones. Nonetheless, the milestones  
18 have not been met. Bear in mind this is the project the  
19 Diverters proposed.

20           The corrective actions should eliminate the  
21 misuse of water and harm to public trust resources. In  
22 summary, the corrective actions are: complete an energy  
23 and water efficiency audits in order to identify project  
24 alternatives; install a locking head gate valve or other  
25 appropriately sized structure that will regulate the

1 diversion to the amount of water that can be put to  
2 beneficial use; comply with Senate Bill 88, which  
3 requires the Diverters to measure their diversion.

4           Conveyance loss -- excuse me -- conveyance  
5 losses in the ditch occur through seepage, evaporation,  
6 over-topping and ditch failures. This increases the  
7 amount of water the Diverters must divert in order to  
8 support their beneficial uses. Regardless, conveyance  
9 losses that result in a discharge of pollutants or create  
10 a nuisance should be considered unreasonable. Physical  
11 solutions discussed thus far have included piping or  
12 lining the ditch.

13           Eliminating the discharge to Irving Creek will  
14 encourage better management of hydropower operations to  
15 reduce impacts on public trust resources until the NMFS  
16 flows are implemented. Implementing the NMFS flows will  
17 preserve the cold water refugia at the confluence of the  
18 Klamath River. This is feasible and will prevent harming  
19 public trust resources. Implementing the NMFS flows will  
20 also likely require returning flows diverted from  
21 Stanshaw Creek, not put to consumptive use, back to  
22 Stanshaw Creek. Otherwise implementing the NMFS flows --  
23 implementing the NMFS flow recommendations only becomes  
24 feasible during high-flow periods.

25           Thank you very much and that concludes my

1 presentation.

2 HEARING OFFICE MOORE: All right. Thank you,  
3 Mr. Anderson.

4 And we'd like to continue to proceed on this  
5 panel with Mr. Feiler, when you're ready.

6 (Slides uploaded to screen.)

7 TESTIMONY OF STORMER FEILER

8 WITNESS FEILER: Good afternoon, ladies and  
9 gentlemen. I'm Stormer Feiler. I'm a Senior  
10 Environmental Science Specialist for the North Coast  
11 Regional Water Quality Control Board. I have taken the  
12 oath and I have no change to make to my testimony. I'm  
13 here today to talk to you about the Douglas and Heidi  
14 Cole Marble Mountain Ranch diversion.

15 I'm going to go over the case history, the  
16 Regional Board's involvement, our inspection findings,  
17 our approach based upon the case history and the  
18 inspection findings, and the impacts observed to  
19 beneficial uses of water related to the diversion.

20 The Regional Board became involved in 2011  
21 through receiving a complaint in January that alleged  
22 repeated failures of diversion impact to aquatic  
23 resources in the Klamath River and its tributaries  
24 through excessive sediment loading. Our initial response  
25 was to assign staff to engage in the ongoing stakeholder

1 process.

2           In 2015, the Division of Water Rights requested  
3 collaboration on the investigation of the site. This  
4 resulted in a site assessment on February 12th, 2015.  
5 During that inspection on February 12th, 2015 I observed  
6 sediment discharges through ditch operation and  
7 management, potential for sediment discharges from the  
8 diversion ditch, erosion at the Irving Creek outfall.  
9 Failure causes were primarily cut bank sumps, seepage of  
10 diverted water through the berm leading to saturation and  
11 failure, and cumulative ditch capacity losses through  
12 sedimentation. At the Irving Creek outfall, there was a  
13 complete lack of structural controls on the outfall.

14           Oops, wrong way, sorry. To start, I'm going to  
15 give you an overview of the diversion provided in LiDAR.  
16 As you can see up here at the start of the diversion,  
17 point of diversion up in the image, and then the  
18 diversion flows down through the penstock here over to  
19 the pond where this arrow, is to the Irving Creek  
20 outfall, which you can actually see in the LiDAR imagery  
21 as a significant source of erosion.

22           The next images that I'm going to show you are  
23 the -- the diversion -- point of diversion. So this is  
24 the point of diversion where it starts. I'm also going  
25 to show you some more LiDAR imagery that will show you



1 some features along the ditch where there's significant  
2 erosion caused through operation of the diversion.  
3 Stanshaw Creek flows to the left in the image. And then  
4 the diversion flows to the right, towards my feet.

5           Here's a close-up of the point of diversion.  
6 As you can see, there's a red arrow highlighting where a  
7 stream flows underneath the diversion works. This is  
8 going to be shown on Slide 8, 9, 10 and 11. Here's a  
9 close-up of the LiDAR relief, so you can see the clear  
10 relief of the imagery here where the stream flows  
11 underneath. You can see the enlargement of the channel  
12 below, which I'm going to talk about.

13           This is approaching that sight. As you can see  
14 the channel is -- the diversion channel is reduced  
15 through the arrow to the left here, the double-headed  
16 arrow. You can see where the channel's reduced to carry  
17 flows across the stream, which is going to be shown in  
18 the next imagery. Here is also there's a shotgun culvert  
19 that's where the flow goes that's not going through the  
20 diversions works. At this point, it goes over here and  
21 it drops directly into a stream below here where it's  
22 caused a significant erosion.

23           This here in the foreground is a good example  
24 of the ditch seeping and weeping and potential  
25 saturation. Here's the stream flowing underneath

1 diversion, the blue arrow on the upper right. This is  
2 the culvert outlet I showed you in the last image, the  
3 red arrow in the in the middle. And this long arrow here  
4 at the bottom is showing you where the stream comes out  
5 underneath the diversion. This will give you context for  
6 the next image.

7           Well, this upstream -- as this is the channel  
8 upstream of the diversion before it flows underneath the  
9 diversion. Note that it's only about two feet wide.  
10 Here we have the culvert outfall. It's flowing during  
11 inspection up here in the upper-right corner.

12           We have the eroded banks below the culvert  
13 outfall, in the stream, below the diversion. The  
14 diversion's flowing behind this image here, back up here.  
15 And then you can see the channel's much enlarged here  
16 where this double-headed red arrow is. It's about 12-  
17 feet wide. So it went from a 2-foot to a 12 foot channel  
18 underneath the diversion works.

19           This is Stanshaw Creek in the background here  
20 where the blue arrow is. This is the image of cut bank  
21 slumps along the ditch, so you can see there was some  
22 recent maintenance done with hand tools. It's still  
23 slumping into the stream right here.

24           This is an image of seepage and cumulative  
25 ditch capacity loss. The ditch here is filling with

1 sediment and through this depositional reach. And  
2 there's been multiple repairs here to try to control the  
3 seepage, so it seems to be on going.

4           Here's where they installed a sediment tank or  
5 a sediment tank car, or basically a sediment trap into  
6 the diversion works. On the other side of the berm is  
7 the inlet to this -- it's basically an old train tank car  
8 is what it looks like. And it's completely full of  
9 sediment. You can see how it bubbles out here with the  
10 flows and change and it forms a pool of sediment and  
11 water.

12           Here's the lower diversion works and through  
13 LiDAR imagery, as you can see here is the penstock.  
14 Here's the pond. And then this red arrow points to the  
15 head cut. I'm going to show you the head cut in the next  
16 image.

17           This is the Irving Creek outfall, the head cut.  
18 So as you can see there's the tree that's come out of the  
19 bank and is dislodged across the channel here diagonally  
20 with its root wad attached. That root wad was right up  
21 here in the bank in the past, but it's fallen out of here  
22 now through erosion. During the inspection on February  
23 12th, 2015 this Douglas fir tree that is across the  
24 channel here still had green needles, which leads me to  
25 believe that recent erosion was relatively recent in

1 comparison to the inspection date.

2           This is just downstream from the last image.  
3 I've turned and looked downstream basically from the bank  
4 I was standing on. And you can see that there's a large  
5 wedge of earthen material with grass and trees growing  
6 out here in the center of the channel. That is the --  
7 that's -- this channel flows around here in the front and  
8 around the back. That's the diversion outlet flowing  
9 around into the tributary to Irving Creek, right here.

10           Regional Board enforcement actions, December  
11 3rd, 2015 we issued a Note (sic) of Violation to the  
12 Discharger, a Draft Cleanup and Abatement Order and our  
13 inspection report through -- We gave him time to comply.  
14 The Discharger failed to demonstrate an ability to follow  
15 through on their own commitments and produce required  
16 agreed upon work products.

17           On August 4th, 2016 we issued a Final Cleanup  
18 and Abatement Order, Order Number R1-2016-0031. The  
19 Cleanup and Abatement Order was about alternatives,  
20 getting the best alternatives for Water Code compliance  
21 considering the beneficial use of the water at play.

22           As you can see these are the directives that  
23 were in the Final Order. Directive 1 was one of the ones  
24 we were most interested in, which was the value and  
25 reporting of the Pelton wheel, basically an energy and

1 efficiency audit.

2           Here's the chart of deliverables with  
3 negotiations. Basically here's where we were before we  
4 issued the Final Order. These white numbers, they were  
5 agreeing to complete this scope of work by the dates here  
6 in this first column. This is the deliverable due dates  
7 of the Final Cleanup and Abatement Order here in the  
8 second column. And then the red over here highlights  
9 where we're at today in terms of compliance. Basically  
10 "We will not complete, canceled," various situations like  
11 that in terms of compliance of the Cleanup and Abatement  
12 Order.

13           The Regional Water Board is interested in  
14 compliance. In terms of compliance of the Final CAO on  
15 September 6th, 2016, the Discharger filed a Petition for  
16 Reconsideration. The State Water Board took no action.  
17 There was no legal challenge filed by the Discharger to  
18 the Final CAO.

19           In terms of the compliance with the Regional  
20 Water Board, we've issued three Notices of Violation for  
21 the Discharger's failure to comply with the CAO. The  
22 Notice of Violation Number 3 is a good place to look for  
23 a summary of directives met and the outstanding  
24 compliance needs, and tallies up days of violation as  
25 well.

1           In summary, the directives we can consider to  
2 be met (phonetic) with leniency on interpretation of met  
3 are as follows: Directive 4a, part of that and Directive  
4 4b and the Directive 5 progress reporting.

5           The Water Quality Control Plan for the North  
6 Coast Region Basin Plan is a tool the Regional Board used  
7 to implement the Porter-Cologne Water Quality Control Act  
8 and the Federal Clean Water Act. It includes a  
9 temperature policy and temperature objectives for  
10 intrastate waters, which basically prohibits any  
11 alteration of natural receiving water temperature unless  
12 it can be demonstrated that such alteration does not  
13 adversely affect beneficial uses. In addition, there's  
14 prohibition on point source and non-point source  
15 discharges.

16           And there's also a Klamath Basin Action Plan  
17 that's for implementation to Klamath Basin TMDLs that  
18 applies to the affected watersheds. The basin plan  
19 temperature policy includes water quality objectives --  
20 policy for implementation of water quality objectives for  
21 temperature and states the following. That Regional  
22 Board and its staff will collaborate with others in such  
23 a manner as to prevent, minimize and mitigate temperature  
24 alterations associated with the potential to reduce  
25 instream flows or reduce sources of cold water, including

1 cold water refugia. The temperature policy directs  
2 Regional Board staff to take various actions to achieve  
3 temperature objectives and influence temperature TMDLs.  
4 This includes coordinating with the Division of Water  
5 Rights to help ensure the terms of water right permits  
6 and licenses are consistent with the water quality  
7 objectives for temperature.

8           The basin plan also includes the Klamath River  
9 Action Plan, which includes the thermal refugia  
10 protection policy, which prescribes enhanced protection  
11 for thermal refugia, identifies Stanshaw Creek as one of  
12 multiple streams requiring greater protection through the  
13 cold water and presence of fish, prescribing a 3,000-foot  
14 buffer instead of a 500-foot buffer.

15           In addition, the thermal refugia protection  
16 policy includes a policy directive for State Water Board  
17 staff to consider the impact of increased diversions,  
18 hydro modifications in tributaries that provide thermal  
19 refugia when issuing water right permits for surface  
20 water diversions in the Klamath River Basin. It also  
21 includes -- it also prohibits discharges of waste that  
22 violate any narrative or numerical water quality  
23 objective not authorized by waste discharge requirements  
24 or other order or action by the Regional or State Water  
25 Board.

1           So refugia protection policy describes thermal  
2 refugia as areas of cool water created by inflowing  
3 tributaries, springs, seeps, upwelling hyporheic flow,  
4 and/or groundwater in an otherwise warm stream channel  
5 that offer refuge habitat to cold water fish and other  
6 cold water aquatic species. It defines these refugia as  
7 essential to the support of the cold water fishery,  
8 because they moderate naturally-elevated temperatures in  
9 the mainstream Klamath River.

10           Oops -- this is the Stanshaw Creek thermal  
11 refugia pool. It's attractive and it's a complex  
12 habitat. As you can see there's lots of flow coming into  
13 the pool in this image on February 12, 2015. The  
14 substrates mixed up of large cobbles and small cobbles,  
15 which provides good micro-invertebrate production.

16           Then there's a lot of wood associated with this  
17 pool as well: a lot of roots, a lot of logs, a lot of  
18 trees. All these trees are bare of leaves now, but in  
19 the summertime these are going to leaf out and be Alder  
20 trees covered with leaves, which also provides  
21 terrestrial inputs of micro -- or insects for food as  
22 well as places for micro-invertebrates when they hatch to  
23 hide and seek cover and breed.

24           In terms of my experience with the Marble  
25 Mountain Ranch diversion through the process of



1 investigating on February 12th, 2015, and then following  
2 up to this point of this hearing, as I kept working on  
3 the project I kept recognizing hydromodification was  
4 playing an important role in the process in terms of  
5 moving water from one watershed to another. So I started  
6 looking for available data and I turned to the Karuk  
7 Tribe and the U.S. Forest Service and asked them what  
8 they had.

9           In terms of analysis of available temperature  
10 and diversion data the key was to find a day when I have  
11 flow and temperature data to evaluate the diversion's  
12 potential effects. I found this together on July 1st,  
13 2009, where I had Stanshaw Creek flow data for 0.5 cfs  
14 below the diversion near Highway 96 and Stanshaw Creek  
15 diversion ditch at the Irving Creek outfall of 1.0 cfs in  
16 the diversion outfall before entering the tributary to  
17 Irving Creek. The water temperatures on July 1st, 2009  
18 from 1400 hours to 1500 hours in the Stanshaw Creek pool  
19 rose from 63 degrees Fahrenheit to 107 degrees Fahrenheit  
20 in about one hour. So the temperature increase declines  
21 over approximately a nine-hour period. For about four or  
22 five hours it was very high.

23           The likely cause was dewatering in the Stanshaw  
24 Creek confluence pool or the data sonde. Either case  
25 means habitat was significantly affected.

1           In 2016, the Discharger contends they did not  
2 run the diversion for hydropower. I also have 2016  
3 temperature data for the Stanshaw Creek refugia pool,  
4 which I looked at to see what a year like this without  
5 the diversion operating might look like in terms of  
6 *temperature*. I'm going to show you that data in a  
7 minute.

8           Here's July 1st, 2009. As you can see, we have  
9 a temperature and date and time. And then we have a  
10 significant rise in that temperature, approximately 1430  
11 hours it spikes. And that's about a 40 degree -- it's  
12 over a 40-degree Fahrenheit increase in temperature.  
13 That's significant in terms of a fish that's living in  
14 that pool.

15           Here we have Stanshaw Creek 2016 temperature  
16 data for the season from approximately May through  
17 November. As you can see, we have a 65-degree Fahrenheit  
18 line right here. And we see that temperature barely  
19 touch that line for a couple of days in July, late July  
20 and early August.

21           The diversion as operated -- represents  
22 potential pollutant sources of hydromodification of the  
23 stream's natural flows, sedimentation from operation and  
24 maintenance. It discharges sediment and flow by taking  
25 one watershed's product and placing it in another

1 watershed after use. The diversion impacts temperature  
2 in receiving waters habitat by decreasing cross-section  
3 volume of streams and also through sedimentation. It  
4 appears to represent a threat and a nuisance to  
5 beneficial uses through altering cold water refugia.

6           It's important to remember that a refugia  
7 represents an attraction flow for the fish in the river  
8 that has elevated water temperatures. As such, the  
9 refuge will attract fish into it over and over again when  
10 flow conditions that do so exist.

11           If each individual event results in mortality  
12 as likely occurred on July 1st, 2009, then the operation  
13 of the diversion has an even greater cumulative impact,  
14 given the potential for repeated incidences of harm.  
15 Returning waters put to nonconsumptive use would likely  
16 alleviate much of this problem, whereas continuing to  
17 divert such flows to a different stream likely enhances  
18 the problem over time.

19           There are many other concerns in terms of  
20 beneficial uses of water such as decreased macro-  
21 invertebrate and steelhead resident trout production in  
22 Stanshaw Creek, due to repeated dewatering events of  
23 riffles and interstitial niches. This can also be  
24 remedied by returning flows not put to consumptive use to  
25 Stanshaw Creek. Where those flows are returned on the

1 stream's continuum has a potential increase or decrease  
2 to the benefit to beneficial uses.

3           The Regional Board supports the National Marine  
4 Fisheries Service bypass and Return Flow recommendations  
5 for the Stanshaw Creek diversion.

6           Thank you sincerely for your time and  
7 consideration.

8           HEARING OFFICE MOORE: Thank you, Mr. Feiler.

9           Well, there's about a minute remaining in  
10 direct testimony, Mr. Petruzzelli. Do you have anything  
11 to add?

12           MR. PETRUZZELLI: I don't think we have  
13 anything to add. The guys went a little faster than we  
14 thought they would.

15           HEARING OFFICE MOORE: Okay. Well, good.

16           In terms of the Order of Proceeding, the next  
17 step would be to open up our witnesses for cross-  
18 examination. But we provide for an hour per party to be  
19 able to do that and we have less than an hour left. And  
20 so to -- in the spirit of keeping a good flow to the  
21 hearing, I don't think we should go into cross-  
22 examination unless it's going to be less than 20 minutes,  
23 because we've announced that we're going to end today at  
24 4:30. And so the first party to do cross-examination  
25 would be Marble Mountain Ranch. And if you think you're

1 going to exceed 20 minutes, I wanted to get your  
2 preference on -- yes.

3 MR. PETRUZZELLI: Could we have a clarification  
4 on the cross-examination time? Since Mr. Howard  
5 previously provided direct testimony and was cross-  
6 examined, would that be included in the previous -- in  
7 the one hour that would normally be provided for cross-  
8 examination since their direct testimony was subsequently  
9 50 minutes?

10 HEARING OFFICE MOORE: Yeah, that's a  
11 reasonable question.

12 (Off mic conference.)

13 HEARING OFFICE MOORE: Yeah. So in the Notice,  
14 Counsel tells me that it was per panel or per witness and  
15 so it is a full hour. Okay? So what's your preference,  
16 Ms. Brenner?

17 MS. BRENNER: My preference is to start cross-  
18 exam tomorrow morning.

19 HEARING OFFICE MOORE: Okay.

20 MS. BRENNER: I'll be more than 20 minutes.

21 HEARING OFFICE MOORE: Okay.

22 MS. BRENNER: For this panel.

23 HEARING OFFICE MOORE: Yeah, I appreciate that.

24 And so with that in mind we're going to be  
25 adjourning the proceeding today. We will reconvene

1 tomorrow. Based on just our own schedules I'm going to  
2 propose we begin at 9:30 a.m. tomorrow, sharp. And we'll  
3 plan to wrap up by 5:00 o'clock p.m., but we'll let you  
4 know if there's any in the schedule based on juggling  
5 everybody's schedule.

6           So, with that we'll recess -- is it recess --  
7 recess the proceeding and reconvene at 9:30 a.m.  
8 tomorrow, Tuesday, November 14th, 2017. Thank you.

9           (Proceedings adjourned at 4:13 p.m.)


10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 26th day of January, 2018.

---

PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 26th day of January, 2018.



Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852