

CERTIFIED COPY

STATE OF NEVADA

DEPARTMENT OF CONSERVATION AND NATURAL RESOURCES

DIVISION OF WATER RESOURCES

BEFORE SUSAN JOSEPH-TAYLOR, HEARING OFFICER

IN THE MATTER OF PROTESTED APPLICATIONS
73783, 73791 THROUGH 73797, 73799, 73800,
73849 THROUGH 73855, 73863 THROUGH 73872,
73908 THROUGH 73915, 73917, 73986, 73987,
74076 THROUGH 74085, 74193 THROUGH 74202
AND RELATED SECONDARY APPLICATIONS (TMWA
APPLICATIONS).

IN THE MATTER OF PROTESTED APPLICATION
78034 AND RELATED SECONDARY APPLICATIONS
(CITY OF FERNLEY APPLICATIONS).

VOLUME III - TRANSCRIPT OF PROCEEDINGS

PUBLIC HEARING

WEDNESDAY, DECEMBER 16, 2009

CARSON CITY, NEVADA

Reported by:

CAPITOL REPORTERS
Certified Shorthand Reporters
BY: MARY E. CAMERON
Nevada CCR #98
1201 North Stewart Street
Suite 130
Carson City, Nevada 89706
(775) 882-5322

CAPITOL REPORTERS (775) 882-5322

APPEARANCES:

For the Division:

TRACY TAYLOR, State Engineer
JASON KING, Deputy State
Engineer
KELVIN HICKENBOTTOM, Deputy
State Engineer
RICK FELLING, Chief Hydrologist
SUSAN JOSEPH-TAYLOR, Chief,
Hearing Section
TIM WILSON, Assistant Hearing
Officer

For the Applicant -
TMWA:

WOODBURN & WEDGE
Attorneys at Law
BY: GORDON DePAOLI
DALE FERGUSON
NICO DePAOLI
6100 Neil Road, Suite 500
Reno, Nevada, 89511

For the Protestant -
TCID:

HANSON BRIDGETT
Attorneys at Law
BY: MICHAEL J. VAN ZANDT
NATHAN METCALF
425 Market Street, 26th Floor
San Francisco, CA, 94105

For the Protestant -
Churchill County:

RUSTY D. JARDINE
Civil Deputy District
Attorney
155 North Taylor Street
Suite 156B
Fallon, Nevada, 89406

For the Protestant -
City of Fallon:

MICHAEL F. MACKEDON
Attorney at Law
Post Office Box 1203
Fallon, Nevada, 89407

INDEX

PROTESTANT'S WITNESS: DIRECT CROSS REDIRECT RECROSS

DAVID OVERVOLD 351 382 421 425

APPLICANT'S WITNESSES:

KENNETH C. BRISCOE 436 440

LEE G. BERGFELD 442 472 495 499

DONALD A. MAHIN 503

(NOTE: Exhibits Listed in Volume IV.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

HEARING OFFICER JOSEPH-TAYLOR: Downstream of where?

THE WITNESS: Vista.

HEARING OFFICER JOSEPH-TAYLOR: Redirect?

MR. FERGUSON: No, I don't have any further questions.

HEARING OFFICER JOSEPH-TAYLOR: Questions from staff? Now, that's how to move a witness. You get to play with us. Thank you, Mr. Briscoe.

Let's be off the record while we switch witnesses.

LEE G. BERGFELD

called as a witness on behalf of the Applicant, having been first duly sworn, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. DePAOLI:

Q. Mr. Bergfeld, would you please state your name?

A. Lee G. Bergfeld.

Q. Mr. Bergfeld, is what has been marked as Exhibit 120 a summary of your educational, professional and employment history?

A. Yes, it is.

1 Q. Please describe your educational background since
2 college.

3 A. I have a bachelor's of science degree in civil
4 engineering from the United States Air Force Academy and a
5 master's of science degree in civil engineering from the
6 University of California at Davis.

7 Q. And would you also briefly describe your
8 employment history and what you were doing in each position?

9 A. Yes. Since graduation from the academy in 1995,
10 I spent approximately five and a half years as a commissioned
11 civil engineering officer in the United States Air Force. I
12 worked on a variety of civil engineering-related projects
13 related to maintaining an Air Force base and being ready for
14 deployments.

15 After that, I spent about four months working
16 with the U.S. Geological Survey from May of 2002 through
17 September of 2002 prior to returning to graduate school.
18 There I worked as an engineer studying water resource issues
19 and data collection in the Sacramento, San Joaquin River
20 Delta in California.

21 While attending graduate school at Davis I also
22 worked at the U.S. Army Corps of Engineers hydrologic
23 engineering center. The engineering center developed
24 software for analysis of water resource projects and issues
25 for the Corps of Engineers and others.

1 I also worked as a teaching assistant at the
2 University of California Davis working, teaching the
3 hydraulics lab there for undergraduate students.

4 In June of 2003 I began to work part time while
5 continuing my master's degree at Science Application
6 International Corporation. There I worked in a variety of
7 different water resource projects.

8 That company provided civil engineering
9 consulting services and I worked there after I received my
10 graduate degree and continued working there until October of
11 2005, at which time I joined MBK Engineers in Sacramento and
12 continue to work there until today, hopefully through today
13 and I worked on a variety of water resource issues and
14 problems.

15 Q. What generally does MBK Engineers do?

16 A. MBK Engineers provides civil engineering services
17 on water-related issues.

18 Q. And what is your position there?

19 A. I am a senior engineer.

20 Q. Are you a registered civil engineer in any
21 states?

22 A. Yes, I am.

23 Q. Which states?

24 A. California and Nevada.

25 Q. What previous experience have you had in

1 calculating the consumptive use of applied water?

2 A. My previous experience in calculating consumptive
3 use of applied water has been primarily in the Sacramento and
4 San Joaquin Valleys in Sacramento. There I have utilized
5 weather station data and estimates or calculations of
6 evapotranspiration provided by the California Irrigation
7 Management System, or CIMS.

8 I've used those data and developed estimates for
9 the consumptive use of applied water in order to develop
10 irrigation demands in those two valleys.

11 I've done this using a variety of different
12 techniques and utilizing information provided by the
13 California Department of Water Resources for estimates of
14 evapotranspiration. I've done this work on both a large and
15 small spacial scale, looking at localized areas such as
16 individual irrigation districts as well as for the entire
17 Sacramento Valley.

18 Q. Who were you working for when you were doing that
19 work?

20 A. I've conducted this work for the U.S. Bureau of
21 Reclamation, the California Department of Water Resources and
22 individual irrigation districts.

23 Q. What was the work that you did used for?

24 A. The irrigation demands which were based on the
25 consumptive use of applied water were used in support of

1 different modeling efforts, most notably they were used to
2 develop the hydrology and irrigation demands that are
3 incorporated into the primary planning model used by the
4 Bureau of Reclamation and the California Department of Water
5 Resources in answering questions relating to the operations
6 of the central valley project in California.

7 Q. Have you done any related work in the Klamath
8 River adjudication?


9 A. Yes, I have. MBK has been involved in the
10 Klamath River adjudication, working on several different
11 tasks. Tasks that I was directly involved with and performed
12 were the calculation of effective precipitation in the
13 Klamath Basin and I also reviewed work by others at MBK that
14 developed estimates of consumptive use of applied water for
15 that adjudication in order to quantify or prove the claim
16 duties for the Klamath project.

17 Q. In some of this work that you've done, was one of
18 the crops that you looked at alfalfa?

19 A. Yes, I looked at alfalfa in both the work that
20 I've conducted in California and in the Klamath Basin.

21 Q. Is the work that you did in those other jobs, was
22 it similar to the work that you've done for the Truckee
23 Meadows Water Authority in connection with these change
24 applications?

25 A. Yes, it was.



1 Q. What did the Water Authority ask you to do in
2 connection with these change applications?

3 A. They asked me to calculate the consumptive use of
4 applied water of alfalfa in the Truckee Meadows.

5 Q. And have you prepared a report on that task?

6 A. Yes.

7 Q. Is that Exhibit 121 in this proceeding?

8 A. Yes.

9 Q. First of all, what is your understanding of the
10 phrase consumptive use?

11 A. My understanding of the phrase consumptive use --

12 HEARING OFFICER JOSEPH-TAYLOR: Hold on.

13 MR. VAN ZANDT: Are we finished with the
14 qualifications and moving into the witness' testimony?

15 MR. DePAOLI: Yes.

16 MR. VAN ZANDT: I would like to voir dire the
17 witness on his qualifications if I may since the State
18 Engineer is being asked to make a determination that he's
19 qualified as an expert on the consumptive use determination
20 that he's prepared to testify about.

21 HEARING OFFICER JOSEPH-TAYLOR: Are you offering
22 him as an expert?

23 MR. DePAOLI: Well, I'm offering him as someone
24 who is qualified to do what he did here. I don't know in
25 terms of what that means as an expert. He is qualified to

1 perform the tasks that he did here, which was calculating the
2 consumptive use of applied water of alfalfa in the Truckee
3 Meadows based on the proceedings evolved.

4 HEARING OFFICER JOSEPH-TAYLOR: He hasn't offered
5 him as an expert, he's offering him as an engineer.

6 MR. VAN ZANDT: We'll listen to the questions.

7 MR. DePAOLI: May I inquire as to what the
8 difference is?

9 HEARING OFFICER JOSEPH-TAYLOR: I see experts as
10 people who are qualified to make particular opinions from the
11 factual evidence that they present.

12 MR. VAN ZANDT: I note for the record that in the
13 designation Mr. Bergfeld is indicated by the TMWA, that he
14 will testify concerning, as an expert witness concerning
15 consumptive use of applied water for alfalfa. That's why I'm
16 confused.

17 MR. DePAOLI: He is testifying as an expert
18 witness in calculating the consumptive use of applying water
19 to alfalfa in the Truckee Meadows pursuant to the procedures
20 that he followed in his report.

21 HEARING OFFICER JOSEPH-TAYLOR: I'll let you do
22 some voir dire because I'm probably going to qualify him as
23 an expert. So, go ahead.

24 ///

25 ///

1 VOIR DIRE EXAMINATION

2 BY MR. VAN ZANDT:

3 Q. Good afternoon, Mr. Bergfeld.

4 A. Good afternoon.

5 Q. Looking at Exhibit 120, I didn't see any work
6 done in the Truckee Meadows prior to this time, is that
7 correct, prior to this task?

8 A. That's correct.

9 Q. And you testified that in the Sacramento River
10 Basin and San Joaquin River Basin you have done similar type
11 of work to what you've done here for the Truckee Meadows
12 Water Authority.

13 Did that work also include field operations where
14 you actually ran lysimeters or other gage information to
15 develop data with regard to consumptive use or
16 evapotranspiration?

17 A. No, it did not.

18 Q. So, the data that you were interpreting was
19 gathered by somebody else; is that right?

20 A. That is correct.

21 Q. And the methods that you determined to use to do
22 the calculations in the Sacramento and San Joaquin River
23 Basins, did you educate yourself or were you taught by
24 somebody how to do that?

25 A. I would say a little bit of both.

1 Q. Did you take formal courses on evapotranspiration
2 and consumptive use when you were studying for your bachelor
3 or graduate degree?

4 A. I haven't had a formal course specifically on
5 consumptive use or evapotranspiration, but I have had courses
6 on hydrology that typically covered these subjects.

7 Q. The efforts that you expended in the Sacramento
8 and San Joaquin River Basins, did they result in a study or
9 report similar to the ones you prepared for the Truckee
10 Meadows Water Authority?

11 A. No, they have not.

12 Q. So, would it be fair to say that this is the
13 first time you've done a calculation such as the one that's
14 in your Exhibit 121, your expert report?

15 A. No. The work did not result in a report similar
16 to what I have submitted here, but it's not the first time
17 that I've done these calculations.

18 Q. But this prior effort that you engaged in, was it
19 specifically for potential evapotranspiration?

20 A. Yes.

21 Q. And have you done an analysis of actual
22 evapotranspiration for alfalfa before?

23 A. I have made estimates of the evapotranspiration
24 of alfalfa. Can you define the actual evapotranspiration?

25 Q. Well, I guess the question is potential

1 evapotranspiration is a theoretically ideal situation with a
2 plant; would you agree with that?

3 A. Yes.

4 Q. Whereas the actual determination of the actual
5 evapotranspiration is something that you try to actually
6 measure, given a lot of other limiting factors; isn't that
7 right?

8 A. Then, no, I have not performed a study of the
9 actual measure of evapotranspiration.

10 Q. Have you ever done a historic actual consumptive
11 use analysis on alfalfa?

12 MR. DePAOLI: Excuse me. It seems like we may be
13 getting into cross-examination here rather than voir dire.
14 We're not offering him or saying that that is what he's done
15 here. What he has done here is very clear.

16 MR. VAN ZANDT: I'm trying to understand the
17 breadth of his experience with regard to evapotranspiration
18 and consumptive use. I think these are fair questions to get
19 that understanding.

20 HEARING OFFICER JOSEPH-TAYLOR: I'll let you go a
21 little longer.

22 THE WITNESS: Can you repeat the question?

23 BY MR. VAN ZANDT:

24 Q. Well, based on what I described to you as the
25 difference between ET and actual ET, I think you were about

1 to answer that you do not have experience with doing the
2 actual calculations; is that right?

3 A. That is correct.

4 Q. The various formulas and reference material that
5 you have included in Exhibit 121, did you use that in the
6 Sacramento/San Joaquin Valley investigation as well?

7 A. I have used slight variations. The ASCE equation
8 is very similar to the CIMS equation that is used in the
9 Sacramento and San Joaquin Valleys.

10 Q. So, in the Sacramento San Joaquin Valley, how
11 many times have you performed these calculations?

12 A. Somewhere between five and ten times.

13 Q. Were you supervised by somebody in conducting
14 this work?

15 A. No.

16 Q. You said you were doing some of this work for the
17 U.S. Bureau of Reclamation. Was somebody in the U.S. Bureau
18 of Reclamation overseeing your effort and confirming your
19 results?

20 A. Yes.

21 Q. And you said the Klamath work that you did, you
22 were calculating an effective precipitation and then you
23 reviewed work by others who did the actual consumptive use
24 work; is that correct?

25 A. That is correct.

1 Q. So, you didn't do these actual calculations in
2 the Klamath effort, right?

3 A. Not of the consumptive use.

4 Q. And Mr. Bergfeld, have you ever testified as an
5 expert before?

6 A. No.

7 Q. Have you ever been deposed as an expert?

8 A. No.

9 HEARING OFFICER JOSEPH-TAYLOR: Isn't it fun?

10 THE WITNESS: I decline to answer.

11 MR. VAN ZANDT: Based on the limited experience
12 that Mr. Bergfeld has, I don't believe that he has the
13 qualifications the State Engineer would normally look to for
14 this type of testimony and I'd object on that basis.

15 HEARING OFFICER JOSEPH-TAYLOR: The State
16 Engineer has already determined that he is fine with
17 Mr. Bergfeld's qualifications. Please proceed, Mr. DePaoli.

18 **DIRECT EXAMINATION (Resumed)**

19 BY MR. DePAOLI:

20 Q. I think my last question, Mr. Bergfeld, was to
21 tell us your understanding of the phrase consumptive use of
22 applied water.

23 A. Yes. The phrase kind of has two parts, the
24 consumptive use and then of applied water. To define the
25 consumptive use, I would define that as the water that is

1 consumed by the plant as it goes through the processes of
2 transpiration and evaporation from the soil surface.

3 To combine that with the consumptive use of
4 applied water, I would define that as the portion of the
5 total consumptive use that is met from applied water
6 typically calculated as the total consumptive use, minus the
7 effective precipitation.

8 Q. Your assignment here was to determine the
9 consumptive use of applied water of alfalfa, was it not?

10 A. Yes, it was.

11 Q. And why was alfalfa selected?

12 A. I was directed to calculate the consumptive use
13 of applied water for alfalfa specifically by legal counsel.
14 It is my understanding that the reason that that direction
15 was provided is because alfalfa has been used in similar
16 proceedings regarding water rights in the State of Nevada.

17 Secondly, I also reviewed the 1925 special
18 master's report which stated that alfalfa was the principal
19 crop grown in the Truckee Meadows.

20 Q. Are you familiar with alfalfa being used in other
21 proceedings in Nevada as a crop for consumptive use?

22 A. It is my understanding that it was used in the
23 Alpine Decree and some recent rulings by the State Engineer.

24 Q. What is the American Society of Civil Engineers?

25 A. The American Society of Civil Engineers is a

1 professional organization for civil engineers. The purpose
2 of the society is to advance the profession and the science
3 of engineering.

4 Q. What is the ASCE standardized reference
5 evapotranspiration equation?

6 A. The ASCE equation is the method for calculating
7 the referenced evapotranspiration from.

8 Q. Why was it developed?

9 A. The ASCE formed -- excuse me. ASCE recognized a
10 need because of the existence of numerous different methods
11 for the calculation of evapotranspiration that were in
12 existence to develop a standardized equation for use in water
13 rights proceedings, for use by scientists and engineers as a
14 standard and reproducible method to represent some of the
15 best science available for making the calculation.

16 Q. And did you use that equation here and if so,
17 why?

18 A. Yes, I used that equation here, and I used it for
19 those exact reason that it was developed, because it is a
20 standardized equation developed for these types of
21 proceedings and represents some of the best science
22 available.

23 Q. Has it's been accepted or endorsed by others?

24 A. The ASCE equation has been endorsed by the
25 Irrigation Association. Additionally, the U.S. Committee on

1 Irrigation and Drainage and the University of California have
2 conducted workshops to instruct individuals in its
3 application, and it is my understanding that this equation
4 has also been used by the State Engineer.

5 Q. What steps did you take in arriving at your
6 opinion as expressed in your report?

7 A. Generally, I reviewed and collected the available
8 weather data for the Truckee Meadows area. I then used that
9 data in the ASCE equation to calculate the referenced
10 evapotranspiration for a reference crop. Next, I determined
11 the growing season for the Truckee Meadows based on
12 temperature records.

13 I then applied crop coefficients to calculate the
14 consumptive use for a specific crop as opposed to the
15 reference crop that the equation has been developed for.
16 Then I calculated the effective precipitation and subtracted
17 that amount from the total crop consumptive use.

18 And then last I reviewed historical weather data
19 for the Truckee Meadows. It covered a longer period of
20 record than the period of data that I had available to make
21 the calculation of evapotranspiration and made an adjustment
22 based on differences between the long-term period of record
23 and the period of available data that I used.

24 Q. What weather station data did you consider?

25 A. I began by looking at all the available weather

1 station data that I could find. This included information
2 provided by the National Climate Data Center, the Western
3 Regional Climate Data Center, CIMS stations nearby in
4 California.

5 I also looked at some weather station data
6 collected in Washoe County, and after review of that data I
7 used data from two stations illustrated here in figure 1 of
8 my report.

9 These stations are maintained and data are
10 collected by the Desert Research Institute. The first
11 station is located at the Reno Valley Road Farm north of
12 Interstate 80 and west of Highway 395.

13 The second station labeled here is the South Reno
14 Station that is located west of 395 and south of downtown
15 Reno on the Wolf Run Golf Course.

16 Q. But what's the period of weather station data
17 which you considered from these two stations?

18 A. The period of available data at these two
19 stations was for the Reno Valley Road Farm Station from
20 January of 2000 through December of 2006, and at the South
21 Reno Station from April of 2000 through December of 2006.

22 Q. Was that the only data available from those two
23 stations?

24 A. Yes, it was.

25 Q. How did you assess the quality of that data?

1 A. The ASCE task committee that developed the
2 standardized reference ET equation also recommended and
3 provided guidelines for the assessment of the quality of
4 weather stations data to be used in the equation. Those
5 standards are included as appendix D to the task committee
6 report and I followed those guidelines and procedures.

7 Q. What did you learn from that assessment?

8 A. I learned that the data were of generally good
9 quality. The most significant issue that I found through
10 this quality assurance check was that the incoming solar
11 radiation data at the Reno Valley Road Farm Station for the
12 period of April 2000 through approximately June 2001 was in
13 error.

14 I determined this by a comparison of the measured
15 solar radiation plotted here as the red circles next to the
16 maximum possible incoming solar radiation plotted as the blue
17 line. The observed solar radiation should not exceed the
18 maximum cloud-free solar radiation, and as this figure
19 illustrates, during that time period it frequently did.

20 So, I used for this period the incoming solar
21 radiation data from the South Reno Station for the
22 calculations at the Valley Road Farm Station.

23 Q. Have you been referring to what is figure 2 of
24 what has been marked as Exhibit 126 when you reference the
25 plot?

1 A. I have.

2 Q. And is that also figure 2 in your report?

3 A. Yes, it is.

4 Q. After reviewing and assessing the quality of the
5 available weather station data, what did you do next?

6 A. Next I determined that I had to make one
7 adjustment to the weather station data. At both of these
8 stations the wind speed is measured at a height of three
9 meters and the ASCE equation is based on a wind speed
10 measurement at two meters. So, I made the adjustment again
11 following the recommendation in the task committee report for
12 performing that adjustment.

13 Then I used the weather station data from both of
14 these two stations to calculate a reference ET using the ASCE
15 equation.

16 Q. What is a reference crop ET or
17 evapotranspiration?

18 A. Reference ET is the evapotranspiration that
19 occurs from a reference crop growing under reference
20 conditions. There are two different common reference crops
21 used for the ASCE equation. One is a short clip grass and
22 the other is a tall crop similar to alfalfa.

23 Grown under reference conditions indicates that
24 the crop is at full cover, dense, and is not short of
25 available water.

1 Q. What did you use for a reference crop here?

2 A. I used the short grass reference crop.

3 Q. And why did you do that?

4 A. I did an analysis using both reference crops,
5 both the short and the tall, and based on that analysis and
6 carrying that analysis through a few more steps as outlined
7 in the task committee report for the equation, determined
8 that the short reference crop provided a better estimate for
9 the ET in the Truckee Meadows.

10 The long reference crop overestimated the ET for
11 the Truckee Meadows.

12 Q. After calculating the reference crop
13 evapotranspiration, what did you do next?

14 A. I determined the growing season for the Truckee
15 Meadows.

16 Q. How did you do that?

17 A. I determined the growing season based on the last
18 killing frost defined as 20 degrees Fahrenheit for alfalfa in
19 the spring and the first killing frost in the fall. To
20 determine when those first and last killing frosts occurred,
21 I consulted and reviewed long-term weather station data
22 available for the Reno Airport and these are shown as figure
23 3 on the screen, as well as in my report.

24 I selected the median date for a date with a
25 probability of exceedence of 50 percent for 20 degrees

1 Fahrenheit. So, on this plot for the spring, that is the
2 light blue line on the left side of the plot. That light
3 blue line crosses the 50 percent exceedence line approximately
4 some time in the first week of April.

5 I made a similar determination for the fall.
6 Here the light blue line is at the far right side of the plot
7 and that line crosses the 50 percent exceedence probability
8 some time in the first week of November. So, I approximated
9 the growing season to occur from the first of April through
10 the 31st of October.

11 Q. Is there a difference between what you determined
12 to be the growing season and what you ultimately used as the
13 irrigation season?

14 A. Yes, there is.

15 Q. What is the difference?

16 A. The growing season is defined by the temperatures
17 in the area. The irrigation season can be defined
18 differently. Again, consulting and reviewing the special
19 master's report of 1925, it stated that the irrigation season
20 typically began on the 15th of April.

21 I limited the calculation of the consumptive use
22 of applied water to begin April 15th as opposed to the
23 consumptive use that may be begin on April 1st with the
24 growing season.

25 Q. Have you reviewed some historical data related to

1 the irrigation season in the Truckee Meadows prior to the
2 1960s?

3 A. Yes, I have.

4 Q. And what is that data?

5 MR. VAN ZANDT: I'm going to object. This isn't
6 in Mr. Bergfeld's report, any of this historic information.

7 MR. DePAOLI: It is not in his report. We did
8 not obviously see the information that Mr. Mahannah presented
9 regarding ditch diversions from 1989 to 2005 until after both
10 the first exchange and the second exchange. And so, we did
11 not have any idea that this issue would be an issue about
12 when the ditch is diverted in the Truckee Meadows.

13 After we received that, I asked Mr. Bergfeld to
14 review diversion data that was actually provided to us by the
15 Truckee-Carson Irrigation District in the Donner Lake Trial,
16 and that is what he reviewed and that's what these plots are
17 from.

18 HEARING OFFICER JOSEPH-TAYLOR: Mr. Van Zandt?

19 MR. VAN ZANDT: Well, the analysis that was based
20 on actual ET and that was based on historical information.
21 So, I don't know why it couldn't have been anticipated that
22 Mr. Bergfeld would have to address those issues.

23 We also note that Mr. Bergfeld, I believe this is
24 correct, is not one of their listed rebuttal witnesses. So
25 he's about to give rebuttal testimony and he's not a listed

1 rebuttal witness. So, this information, it's not on this
2 slide, but it's coming up in the next couple slides, is
3 entirely new and we've never seen it before.

4 HEARING OFFICER JOSEPH-TAYLOR: I have some
5 problems with that.

6 MR. DePAOLI: He is actually providing
7 information that supports his original determination of the
8 irrigation season, and I see a problem with TCID having this
9 information and not presenting it through Mr. Mahannah.

10 MR. VAN ZANDT: Having what information? I'm
11 confused.

12 HEARING OFFICER JOSEPH-TAYLOR: So am I.

13 MR. DePAOLI: The historic information in the
14 Truckee Meadows ditches that was provided by Mr. Binder in
15 the Donner Lake Trial.

16 HEARING OFFICER JOSEPH-TAYLOR: I don't care what
17 was presented in the Donner Lake Trial. I care what was
18 exchanged here and what people were prepared for here. So, I
19 do have some problems going into brand new evidence that
20 wasn't exchanged prior. How much of this do you have?

21 MR. DePAOLI: We just have three which you
22 haven't seen yet. We have three figures.

23 HEARING OFFICER JOSEPH-TAYLOR: I'm not going to
24 allow it, Mr. DePaoli.

25 MR. DePAOLI: We will leave those for an offer,

1 then, and we will move forward.

2 BY MR. DePAOLI:

3 Q. Mr. Bergfeld, after determining the growing
4 season, what was your next step?

5 A. It was to apply crop coefficients to calculate
6 the consumptive use for alfalfa as opposed to the reference
7 crop.

8 Q. And what is the purpose of applying a crop
9 coefficient?

10 A. The crop coefficient accounts for differences
11 between how the reference crop consumes water and the crop of
12 interest, in this case alfalfa, consumes water.

13 Q. What crop coefficient did you use in your
14 analysis, and why?

15 A. I used crop coefficients from the Food and
16 Agriculture Organization of the United Nations, Irrigation
17 and Drainage Paper 56, or what's commonly referred to as FAO
18 56.

19 Q. And why did you use that?

20 A. I used those crop coefficients because they're
21 appropriate for the Truckee Meadows and have been developed
22 by some of the same authors as the ASCE equation and the ASCE
23 task committee report references FAO 56 as a source for crop
24 coefficients.

25 Q. How did you account for the fact that alfalfa is

1 harvested several times during the growing season?

2 A. There are two methods that can be used to account
3 for the cutting and regrowth of alfalfa in the calculation of
4 the consumptive use. The first method that I used was to use
5 an averaged crop coefficient during the growing season that
6 accounts for the cutting of the crop, the initial growth
7 phase as it recovers, the development phase as it again grows
8 to maturity and then harvesting again.

9 The second method is to apply crop coefficients
10 assuming some number of cuttings that directly account for
11 the harvesting of the crop, the initial growth phase, the
12 development phase and the mature phase until the next
13 cutting.

14 I performed calculations using both methods and
15 determined that there was not a significant difference
16 between the two, and used the average crop coefficients from
17 FAO 56 in my final analysis.

18 Q. And what is the result of multiplying the crop
19 coefficient by the reference evapotranspiration?

20 A. The result of that calculation is the total
21 consumptive use or the total ET for the crop.

22 Q. What was your next step in calculating the
23 consumptive use of applied water?

24 A. My next step was to calculate the effective
25 precipitation.

1 Q. What is effective precipitation and how did you
2 calculate it here?

3 A. Effective precipitation is the portion of the
4 total precipitation that is available to meet the consumptive
5 demands of the crop. It's calculated as the total
6 precipitation minus the portion that runs off, minus the
7 portion that depercolates past the root zone.

8 I calculated effective precipitation here using
9 methods developed by the National Resource Conservation
10 Service and detailed in the National Engineering Handbook.

11 Q. For precipitation to be effective precipitation,
12 must it occur during the growing season?

13 A. Generally, but not necessarily. For example,
14 precipitation that immediately precedes the growing season
15 could be effective if it is stored in the root zone and is
16 available to the crop when it begins growing.

17 Q. What was the next step in calculating consumptive
18 use of applied water for alfalfa in the Truckee Meadows?

19 A. Recognizing that precipitation occurring prior to
20 the growing season can be considered effective, I took the
21 total consumptive use calculated with the reference equation
22 and the crop coefficients, and then subtracted the effective
23 precipitation, including that effective precipitation for the
24 month of March that immediately preceded the growing season
25 from the total consumptive use of the crop.

1 Q. And what was your calculation of consumptive use
2 of applied water in alfalfa in the Truckee Meadows during
3 that period April 15th through October 31st for the time
4 frame that you looked at?

5 A. I performed the steps that we've discussed here
6 for both the Reno Valley Farm Station and for the South Reno
7 Station, and then I averaged those two stations. The result
8 of those calculations minus the effective precipitation was
9 that the consumptive use of applied water of alfalfa in the
10 Truckee Meadows during that period was 37.2 inches or 3.1
11 feet.

12 Q. And did you compare your calculations to reports
13 of measured consumptive use of applied water to alfalfa in
14 the Truckee Meadows?

15 A. Yes, I did.

16 Q. And what were the reports and what did that
17 comparison show?

18 A. I prepared a slide that illustrates that
19 comparison which I'll move to. I compared it to measurements
20 conducted by Houston from 1950 through 1953 and from Tovey,
21 1959 to 1966. Those two studies measured a range of
22 consumptive use of applied water illustrated here. For
23 Houston, that range was from 33 to 34 inches, and for Tovey,
24 it was from 31.2 to 40 inches.

25 The triangle here on those bars is the average

1 that I calculated for the consumptive use of applied water
2 for the period.

3 Q. When you're referring to here, you're referring
4 to supplemental table 1, comparison with measured CUAW, which
5 is the last page of Exhibit 126?

6 A. Yes.

7 Q. That exhibit is not in your report, is it?

8 A. No, it is not.

9 Q. Did you compare your calculation to reports of
10 consumptive use of applied waters of alfalfa in Washoe
11 Valley?

12 A. Yes, I did.

13 Q. What is that report and what did that comparison
14 show?

15 A. That report was prepared by Mr. Huntington and
16 his estimates following very similar methods in the Washoe
17 Valley indicated the consumptive use of applied water of
18 alfalfa ranged between 2.88 feet and 3.65 feet.

19 Mr. Huntington also used the same data from the
20 recent Valley Road Farm Station as used in my analysis,
21 although for a slightly shorter period. His analysis went
22 through 2005, and he calculated for the Reno Valley Road Farm
23 Station an estimate of 39.75 inches.

24 Q. Did he use a longer irrigation season than your
25 analysis in the study that he did?

1 A. He calculated the consumptive use of applied
2 water for the entire growing season, from April 1st through
3 October 31st.

4 Q. If you had done that with your calculation, what
5 would your calculation have been?

6 A. My calculation for that station would have been
7 38 inches or 3.17 feet.

8 Q. I believe that when you said earlier the steps
9 that you went through in this process, you indicated that you
10 looked at some longer-term weather data?

11 A. Yes, I did.

12 Q. And why did you do that?

13 A. Because the period of data available for applying
14 the ASCE equation was limited to the period of 2000 through
15 2006 or for seven years. I wanted to see how that period
16 compared to the long-term data available in the Truckee
17 Meadows to see if it was representative.

18 Q. What longer term weather data did you consider?

19 A. I used weather data for temperature and
20 precipitation which were available through the Western
21 Regional Climate Center at the Reno Airport from the
22 beginning of March 1937 through 2006.

23 Q. What was the result of this comparison?

24 A. The result was that the period from 2000 to 2006
25 compared to the long-term average was a period of

1 below-average precipitation and above-average temperature.

2 Q. What adjustments, if any, did you make to your
3 calculation of consumptive use of applied to alfalfa as a
4 result of that comparison?

5 A. I went back and used instead of the March through
6 October effective precipitation based on the 2000 to 2006
7 period, I used the long-term average effective precipitation
8 based on the longer period of record available at the Reno
9 Airport.

10 I also went back and adjusted the temperatures
11 used in the calculation of the reference ET to be similar to
12 the long-term monthly average temperatures in the longer
13 period of record.

14 Q. So, was that everything that you did to reach
15 your opinions in your report?

16 A. Yes.

17 Q. Based on that record, what is your opinion of the
18 consumptive use of applied water to alfalfa in the Truckee
19 Meadows?

20 A. My opinion is that it is 2.9 feet.

21 Q. Based on your calculated consumptive use, what is
22 the irrigation efficiency for an average water duty of
23 4.0 acre feet that's involved here.

24 A. It would be 72.5 percent.

25 Q. Is that a reasonable number from your

1 perspective?

2 A. Yes, it is.

3 MR. DePAOLI: I have no further questions. I
4 would like to offer into evidence Exhibit 120 and
5 Exhibit 121. I would like to have supplemental figure 1,
6 supplemental figure 2 and supplemental figure 3 removed from
7 Exhibit 126 and marked separately as Exhibit 127.

8 MR. VAN ZANDT: The last page remains in the
9 exhibit, I believe.

10 MR. DePAOLI: Yes, the last page does remain.
11 With that, I would offer Exhibit 126.

12 HEARING OFFICER JOSEPH-TAYLOR: Any objection to
13 Exhibit 120, Mr. Van Zandt?

14 MR. VAN ZANDT: Is he offering 120?

15 HEARING OFFICER JOSEPH-TAYLOR: I'm going back to
16 120, Mr. Bergfeld's resume.

17 MR. VAN ZANDT: No objection.

18 HEARING OFFICER JOSEPH-TAYLOR: 120 will be
19 admitted. 121?

20 MR. VAN ZANDT: We do object to 121 based on our
21 qualification objection.

22 HEARING OFFICER JOSEPH-TAYLOR: So noted. It
23 will be admitted. Exhibit 126?

24 MR. VAN ZANDT: No objection.

25 HEARING OFFICER JOSEPH-TAYLOR: It will be

1 admitted.

2 MR. DePAOLI: I would offer Exhibit 127.

3 MR. VAN ZANDT: We would object to that for the
4 reasons stated.

5 HEARING OFFICER JOSEPH-TAYLOR: You were going to
6 make that an offer of proof, Mr. DePaoli?

7 MR. DePAOLI: I'm offering it. I am assuming
8 it's going to not be admitted.

9 HEARING OFFICER JOSEPH-TAYLOR: It's not
10 admitted.

11 MR. DePAOLI: That's all.

12 HEARING OFFICER JOSEPH-TAYLOR: Cross-
13 examination, Mr. Van Zandt?

14 MR. VAN ZANDT: Can we take a short break?

15 HEARING OFFICER JOSEPH-TAYLOR: Yes, we can.
16 We'll be off the record for about ten minutes.

17 (A short recess was taken.)

18 HEARING OFFICER JOSEPH-TAYLOR: Let's be on the
19 record. Mr. DePaoli, you wanted to raise something?

20 MR. DePAOLI: All I was going to say, Madam
21 Hearing Officer, is that with respect to the offer of proof
22 on Exhibit 127, the representations that I made to the
23 Hearing Officer when the issue first came up would be my
24 offer of proof.

25 HEARING OFFICER JOSEPH-TAYLOR: Thank you.

1 Cross-examination, Mr. Van Zandt.

2 MR. VAN ZANDT: Thank you.

3 **CROSS-EXAMINATION**

4 BY MR. VAN ZANDT:

5 Q. Mr. Bergfeld, in doing the analysis that's in
6 your report, Exhibit 121, you said you limited it to alfalfa,
7 correct?

8 A. That's correct.

9 Q. And that was at the direction of legal counsel?

10 A. That's correct.

11 Q. But you said you did some cross-checking, I
12 believe you referenced the 1925 special master's report which
13 is actually in evidence at Exhibit 2226, tab 2, I believe.
14 Is that the special master's report you're referring to?

15 A. I don't have that in front of me, but I believe
16 that is the same.

17 Q. Somebody can get it for you. Somebody can pull
18 it for you.

19 HEARING OFFICER JOSEPH-TAYLOR: Do you need it,
20 Mr. Van Zandt?

21 MR. VAN ZANDT: No, I believe the witness is
22 correct, that's the one he looked at.

23 BY MR. VAN ZANDT:

24 Q. My question is I think you said it was the
25 principal crop that you saw in the Truckee Meadows based on

1 what was in the special master's report. Do you recall that?

2 A. Yes.

3 Q. So, my question is when you say principal crop,
4 isn't it true that you could have 50.1 percent in alfalfa and
5 that would be the principal crop?

6 A. That could be the case, yes.

7 Q. And so, you could have other crops, such as small
8 grains or beets or other types of crops that are not alfalfa
9 that constitute over 40 percent of the crop, right?

10 A. Yes.

11 Q. Did you make any inquiries as to what the actual
12 crop ratio was in the Truckee Meadows in doing your
13 calculation?

14 A. No, I did not.

15 Q. Now, I think you actually referenced looking at
16 some of the consumptive use work in the Alpine Decree, do you
17 recall that?

18 A. I referenced that my understanding was that using
19 alfalfa as the crop to base consumptive use off of was
20 determined by a precedent set in the Alpine Decree.

21 Q. Did you actually go and look at the
22 determinations in the Alpine Decree of how consumptive use
23 for alfalfa was determined?

24 A. No, I did not.

25 Q. Were you aware that there were actually a couple

1 of consumptive use numbers that were actually determined in
2 the Alpine Case?

3 A. No.

4 Q. And you don't know what those numbers are?

5 A. No.

6 Q. Now, you said you looked at some weather data,
7 and if I look at your figure 1 there, you said you looked at
8 some national weather data and some regional weather data and
9 then some Washoe County, but specifically you were looking at
10 these two stations here, correct?

11 A. These are the two stations I used in performing
12 the analysis.

13 Q. Now, it appears to me, and you can confirm this,
14 Mr. Bergfeld, that the Reno Valley Road Farm Station seems to
15 be in a highly urbanized area?

16 A. It is surrounded by urban area, but that
17 particular weather station is located in an area with
18 irrigated agriculture there on the campus.

19 Q. Did you make any adjustments for any
20 parameters -- I think you indicated that you made some
21 adjustments for temperature and I think there was one other
22 parameter, but my question is did you make any adjustments
23 for humidity at that station?

24 A. No, I did not.

25 Q. Wouldn't you agree that a station like that in an

1 urban setting would tend to have lower humidity than out in a
2 large alfalfa field?

3 A. Reference conditions are defined by an area of
4 the same crop growing with an expanse of approximately
5 100 meters. I didn't make specific measurements from the
6 weather station at that location to urban areas, but it is
7 located not immediately adjacent to some of the surrounding
8 urban areas.

9 It is in the middle of the farm station there.

10 Q. Have you been to the site?

11 A. Yes, I have.

12 Q. Do you know how large of acreage we're talking
13 about what that site consists of?

14 A. No, I do not.

15 Q. And is the measurement site actually in the
16 center of the field or is it in one of the corners?

17 A. As I recall, the farm plot there is rectangular
18 and it is located more or less in the center of the station,
19 of the field.

20 Q. Now, the South Reno site that you referred to, I
21 believe you indicated that it's on a golf course?

22 A. That's correct.

23 Q. Did you make any adjustments there for humidity
24 with regard to that site?

25 A. No, I did not.

1 Q. So, in doing your calculations, Mr. Bergfeld,
2 would it be fair to say that you did not make any adjustments
3 for the effects of the urbanization that has occurred in the
4 Truckee Meadows in the last 40 or 50 years?

5 A. I didn't make any adjustments for humidity that
6 may be influenced by that urbanization. If there is some
7 affected temperature related to that urbanization, then that
8 would be incorporated to some degree in the adjustment that I
9 made for the long-term temperature.

10 Q. Well, you said that you looked at some long-term
11 temperature information. I think it goes back into the '30s,
12 is that right, 1937 or thereabouts?

13 A. That's correct.

14 Q. Did you attempt to match any of the temperature
15 data that we're talking about to the locations for these
16 change applications where the water was transferred from
17 originally?

18 A. I'm not sure I understand the question. Can you
19 please repeat it?

20 Q. Well, some of the changes, the original changes
21 from irrigation to M and I in these applications occurred a
22 long time ago, back in the '50s, for example, '50s through
23 2003, I believe. Did you try to do any kind of matching with
24 regard to temperature for the actual location of the
25 irrigation rights for the work that you were doing?

1 A. No.

2 Q. Mr. Bergfeld, I think you testified that you
3 primarily were looking at a growing season which you defined
4 based on the occurrence of frost conditions; is that right?

5 A. Correct.

6 Q. But you did say that you looked at irrigation
7 seasons as well, correct?

8 A. Correct.

9 Q. And you recognize that there is some variability
10 between a growing season and an irrigation season, correct?

11 A. Correct.

12 Q. And that in the special master's report that you
13 referenced, there's an irrigation season that's about 160,
14 165 days? Do you recognize that?

15 A. Yes.

16 Q. Whereas your growing season is in excess of
17 210 days; would you agree with that?

18 A. Yes.

19 Q. And it's true that the difference between the
20 length of the growing season and the irrigation season will
21 have an impact on your calculations, correct?

22 A. I'm sorry, could you repeat the question?

23 Q. Well, if you use a different amount of time for
24 the consumptive use calculation, that will change the
25 calculation, will it not?

1 A. Yes, it will.

2 Q. Now, you said you made some adjustments for
3 cutting of alfalfa. Do you recall that?

4 A. What I said is I applied a crop coefficient that
5 incorporated the effects of cutting on alfalfa.

6 Q. And I think you also indicated there was a
7 reference ET for what you called short clip grass?

8 A. Yes.

9 Q. That's the one you choose as a reference, right?

10 A. Yes.

11 Q. So, it was the cutting of the short clip grass
12 that you were looking at for the crop coefficient?

13 A. No.

14 Q. So, you looked at a crop coefficient for alfalfa
15 based on bulletin 56?

16 A. Yes.

17 Q. And did that bulletin actually analyze cutting,
18 the number of cuttings and the size of the cuttings that
19 would be reflective of the conditions in the Truckee Meadows?

20 A. The crop coefficients in FAO 56 are appropriate
21 for use in the Truckee Meadows, but I do not know if they
22 would reflect the number of cuttings that occurred in the
23 Truckee Meadows.

24 Q. Or even the size of the cutting, correct?

25 A. Correct.

1 Q. And would that affect the calculation if you had
2 a different number of cuttings and even size of a cutting?

3 A. Yes.

4 Q. Now, in conducting your analysis, Mr. Bergfeld,
5 would it be fair to say you did not look at any water supply
6 limitations in the Truckee Meadows?

7 A. Yes.

8 Q. And you did not consider the irrigation season
9 variability in the Truckee Meadows?

10 A. That's correct.

11 Q. And you also did not consider different
12 irrigation methods?

13 A. That's correct.

14 Q. Nor did you consider any field application
15 efficiencies that were specific to the fields we're talking
16 about here?

17 A. That's correct.

18 Q. Nor did you consider any other crop type other
19 than alfalfa, correct?

20 A. Correct.

21 Q. And you did not look at variable sources of
22 supply either, correct?

23 A. Correct.

24 Q. Now, wouldn't you agree, Mr. Bergfeld, that there
25 is a difference between an idealized or potential

1 evapotranspiration number for a crop and the
2 evapotranspiration for that crop?

3 A. There may be.

4 Q. There may be or there is?

5 A. There may be.

6 Q. Under ideal conditions, would it be your opinion
7 that the potential ET will always be met?

8 A. Yes.

9 Q. And under other than ideal conditions, would it
10 be fair to say that most likely we're going to have actual
11 evapotranspiration as being the actual number for a crop?

12 A. It would be another number, yes.

13 Q. Would that number always be more or less?

14 A. If the crop does not receive the water that it
15 needs, it would be less.

16 Q. Now, isn't it true, Mr. Bergfeld, that a shallow
17 water table will have an effect on the consumptive use
18 calculation?

19 A. It may, yes.

20 Q. It may or it will?

21 A. It may.

22 Q. So, if alfalfa, for example, if that's the crop
23 we're talking about, it draws some of its water from a
24 shallow water table, that would have an effect on consumptive
25 use, right?

1 A. The crop will consume the water that it needs.
2 If it's drawing it from the shallow water table or if it's
3 coming from irrigation, it will consume the water that it
4 needs.

5 Q. Your calculation was on the applied water,
6 correct, not water --

7 A. That's correct --

8 Q. Your calculation was based on the applied water,
9 not the water that may have been available to the crop that
10 was not applied?

11 A. My calculation was done for the water that was
12 not met through effective precipitation. So, I assume that
13 that would be the applied water.

14 Q. And that would not include shallow groundwater?

15 A. No.

16 Q. Now, do you have or can you get Exhibit 2226,
17 please? Before we do 2226, I wanted to ask you, if there is
18 a contribution from a shallow water table and that has not
19 been subtracted from the consumptive use calculation, that
20 will result in a higher number, will it not, when you do your
21 applied water analysis?

22 A. Higher than if the portion of the consumptive
23 uses that may be satisfied by the shallow groundwater table
24 were to be subtracted?

25 Q. Yes.

1 A. Yes, it would be.

2 Q. And if you don't have contribution from a water
3 table, shallow water table, you should have a lower CU
4 number, right?

5 HEARING OFFICER JOSEPH-TAYLOR: Say that again.

6 MR. VAN ZANDT: If you don't have contribution
7 from a shallow water table, then you'll have a lower CU
8 number from applied water.

9 BY MR. VAN ZANDT:

10 Q. Correct?

11 A. I'm sorry, one more time. It sounds backwards.

12 Q. We've established if you have a shallow water
13 table contribution and you're trying to calculate that water
14 table but you don't account for that, you're going to have a
15 higher consumptive use number, correct? It will be a higher
16 number, right?

17 A. If you're attempting to calculate or maybe
18 partition the consumptive use of water not by effective
19 precipitation into the consumptive use of applied water and
20 the consumptive use of water from a shallow groundwater
21 table, then the consumptive use of applied water will be less
22 if a portion of the consumptive use is met from a shallow
23 groundwater table.

24 Q. Thank you. That answered my question. Let's
25 look at tab 2, page 71 of Exhibit 2226 if we could. In that

1 last full paragraph at the bottom of page 71, did you review
2 this information in doing your analysis, Mr. Bergfeld?

3 A. I have read this.

4 Q. And you considered it in your analysis?

5 A. Yes.

6 Q. So, is it your opinion that your 72.5 number that
7 you testified to is comparable to the 67.6 that the special
8 master notes here?

9 A. I'm sorry, what number did you say I testified
10 to?

11 Q. 72.5 percent as an irrigation efficiency.

12 A. As an efficiency? Is comparable to the numbers
13 reported here?

14 Q. Yes.

15 A. Comparable, yes.

16 Q. So, if we take the 67.6 percent of the 3.184,
17 you've already done this math, it's been testified to
18 yesterday, 2.152 acre feet is the ET number calculated
19 according to the bulletin that was reported by the special
20 master.

21 MR. FELLING: Could we have that again, please?

22 BY MR. VAN ZANDT:

23 Q. The 67.6 percent of the 3.184 reported here is
24 2.152 acre feet.

25 MR. KING: My understanding of the 72 and a half

1 percent, 72 and a half of four gave you the 2.9 consumptive
2 use number that Mr. Bergfeld came up with. So, that was of
3 the 4.0 duty. You're multiplying 67 times 3.1. That's where
4 I'm having the disconnect. I don't know if other people are
5 or not.

6 MR. VAN ZANDT: Well, thank you, Mr. King. I
7 hope the witness can explain it as well as you have, but
8 you've helped him considerably with my next question. And
9 Mr. Turnipseed used to do that to me all the time.

10 HEARING OFFICER JOSEPH-TAYLOR: Then the
11 tradition continues.

12 BY MR. VAN ZANDT:

13 Q. So, the 72 and a half percent efficiency, you're
14 multiplying that by your four acre foot water duty?

15 A. Yes.

16 Q. Any reason to disagree with the information
17 that's reported on page 71 of the special master's report?

18 MR. DePAOLI: Vague as to which information.

19 BY MR. VAN ZANDT:

20 Q. Well, the evapotranspiration determination by the
21 University of Nevada bulletin that's cited there.

22 HEARING OFFICER JOSEPH-TAYLOR: I didn't find it
23 vague, so overruled. You're talking about one paragraph.

24 THE WITNESS: I don't have enough information in
25 this one paragraph to form an opinion on the information

1 that's stated.

2 BY MR. VAN ZANDT:

3 Q. But you don't have any basis to disagree with it,
4 correct?

5 A. No, I don't.

6 Q. Now, would you go to page 94 of tab 2 of Exhibit
7 2226, please? Actually, you can start at page 93. This is
8 the part of the special master's report addressing irrigation
9 season. Do you see that?

10 A. Yes.

11 Q. Did you consider this in doing your evaluation?

12 A. No, I did not.

13 Q. You did not. So, you did not consider the fact
14 that on page 94 in the paragraph at the bottom, the special
15 master observes that, although there may be some fluctuation
16 in the irrigation season, as long as February to November or
17 December, that that is a rare occurrence?

18 A. I'm sorry, where did you start?

19 Q. In the last paragraph on page 94.

20 A. No, I did not.

21 Q. Now, would you look at tab 14 of Exhibit 2226?
22 Tab 14 was testified yesterday to Exhibit 2226, base right
23 area for application 73797. You see we have a plane table
24 map there that shows rocky pasture, orchard, alfalfa, and
25 also Evans Creek? Do you see that?

1 A. Yes, I do.

2 Q. Now, it was testified to by Mr. Mahannah
3 yesterday that this is some steeply sloping areas with
4 contoured irrigation. Did you do any analysis like this for
5 your determinations of ET?

6 A. Analysis such as evaluations of maps like this?
7 Contours, ditch irrigation? I'm not exactly sure what you're
8 asking.

9 Q. Well, did you do any consideration of steeply
10 sloping lands that were being irrigated?

11 A. No, I did not.

12 Q. Or irrigation based on contoured irrigation?

13 A. No, I did not.

14 Q. And did you do any determinations with regard to
15 contributions from a creek, such as Evans Creek?

16 A. No.

17 Q. Would you look at tab --

18 HEARING OFFICER JOSEPH-TAYLOR: Mr. Van Zandt, we
19 very clearly understood that this is a potential ET and your
20 client and your witness talked about actual ET. I don't know
21 how many of these questions you have to ask. Your record is
22 very clear.

23 MR. VAN ZANDT: Just one more that I'll point out
24 to him.

25 HEARING OFFICER JOSEPH-TAYLOR: Is that a lawyer

1 one more?

2 MR. VAN ZANDT: No, of this tab.

3 HEARING OFFICER JOSEPH-TAYLOR: I'm going to cut
4 you off pretty quickly, because we've got it.

5 BY MR. VAN ZANDT:

6 Q. Would you look at tab 22, Mr. Bergfeld, please?
7 You can look specifically at the 1967 aerial photo, this is
8 detail K, application 73908, and it's fair to say you didn't
9 make any consideration of a situation that is depicted here
10 where you basically have a gravel pit, correct?

11 A. Correct.

12 Q. Now, would you go, please, to the last slide on
13 your power point, which is up on the screen here. This
14 corresponds to a discussion on page two of your report,
15 Exhibit 121; is that correct?

16 A. Correct.

17 Q. Now, as I understand it, the purpose of doing
18 this comparison to your calculation was to try to see if some
19 actual field data on measured ET would compare to your
20 calculated ET; is that fair?

21 A. That's fair.

22 Q. So, when we look, for example, at the studies
23 that were going on conducted by Mr. Houston and Mr. Tovey,
24 those were done using lysimeters, were they not?

25 A. Yes.

1 Q. And it was also done under controlled conditions,
2 correct?

3 A. Correct.

4 Q. And they would have been looking particularly to
5 optimize the irrigations, wouldn't they?

6 A. I would assume that they would be attempting to,
7 yes, optimize the irrigations in the same way that a farmer
8 would attempt to achieve the best production from his crop as
9 possible.

10 Q. And they also would be trying to minimize the
11 stress on the crop, correct?

12 A. Correct.

13 Q. And these were all done for alfalfa, correct?

14 A. Correct.

15 Q. Now, it's stated here that Houston did his
16 studies in 1950 through 1953. Isn't it true that those were
17 all full-water supply years?

18 A. I do not know.

19 Q. You didn't do any kind of review of what
20 Mr. Houston and Mr. Tovey did with regard to the water
21 conditions under which they were operating?

22 A. Maybe I should get more clarification. What do
23 you mean by full water supply years?

24 Q. Where Floriston rates were being met all year
25 round.

1 A. I don't know.

2 Q. Mr. Houston in his calculation, I believe you
3 have it on your page two of Exhibit 121, uses an irrigation
4 season that began on May 9th and ended September 26th. Do
5 you see that?

6 A. Yes, I do.

7 Q. And that's about 137 days. Would you agree?

8 A. I agree.

9 Q. And Mr. Tovey when he was doing his study, it's
10 only reported for two of the years -- I'm sorry,
11 Mr. Houston's was only reported for two of the years,
12 Mr. Tovey for the three years that he looked at, his time
13 period was mid May to mid October. Do you see that?

14 A. That's correct.

15 Q. And that's about 150 days, right?

16 A. I'll trust your math.

17 Q. Thank you. Now, the variations that we see, for
18 example, in the Tovey analysis between 31.2 and 42, that's in
19 inches, right?

20 A. Yes.

21 Q. Isn't it true, Mr. Bergfeld, that the 31.2 number
22 is reported in an area that Mr. Tovey was studying which is a
23 well-drained portion of the field?

24 A. I'd have to review the actual study to confirm
25 that, but that is my recollection.

1 Q. And that would be an area where there would be no
2 contribution from the water table, correct?

3 A. That would be how I would define a well-drained
4 area, yes.

5 Q. And the 42 inches that are reported by Mr. Tovey,
6 isn't it true that that was in an area of the field where
7 there was a shallow water table?

8 A. Again, I would have to review the study, but that
9 matches my recollection.

10 Q. So, there would be a contribution from that
11 shallow water table to the 42-inch number, correct?

12 A. Yes.

13 Q. Now, also in doing your calculations,
14 Mr. Bergfeld, you did not take into account that some of the
15 ditches that we're talking about where this water was
16 originally transferred from are higher up and do not receive
17 contributions from any other ditches above them?

18 A. I did not take that into consideration.

19 Q. Now, Mr. Bergfeld, you understand, do you not,
20 that the number that you are providing here in this testimony
21 is going to be used by the State Engineer to potentially
22 allow the Truckee Meadows Water Authority to remove -- excuse
23 me -- to store 2.9 acre feet of water that otherwise would be
24 flowing in the Truckee River in an upstream reservoir? Do
25 you understand that?

1 A. That's my understanding.

2 Q. And the number that you are giving, that 2.9 acre
3 foot per acre number, that potential evapotranspiration
4 number is not one that's going to occur every year, is it?

5 A. It could be, depending on the growing conditions
6 from one year to the next, it could be more than that, it
7 could be less than that.

8 HEARING OFFICER JOSEPH-TAYLOR: It's a yes or no
9 question, Mr. Bergfeld.

10 THE WITNESS: Yes. I understand that 2.9 is not
11 one that will occur every year.

12 BY MR. VAN ZANDT:

13 Q. In fact, there is a significant chance that the
14 2.9 number will not occur in the majority of the years; isn't
15 that right?

16 A. I haven't done any analysis to determine how
17 frequently it may or may not occur.

18 Q. Well, let me ask you this: If we're talking
19 about allowing a party to store this 2.9 acre feet, that that
20 is not the actual number that was being consumed by the
21 plants.

22 In fact, assume that that number would be less.
23 Then in essence the State Engineer would be allowing that
24 party to remove more water from the river than actually was
25 consumed by the plant; isn't that right?

1 A. My analysis is that alfalfa consumes 2.9 acre
2 feet -- 2.9 feet per season if it receives a full water
3 supply.

4 Q. That wasn't my question.

5 A. I'm not sure I've done any analysis to be able to
6 answer your question.

7 Q. You have in your report an adjustment that's
8 made, and it's on page 12 of Exhibit 121, the very last
9 sentence. It says, "The result of this sensitivity analysis
10 for both temperature and precipitation was to reduce the
11 calculated," that's CAUW, "of alfalfa from 3.1 to 2.9 feet."

12 Now, you don't give any reference there for how
13 you've made that sensitivity analysis, do you?

14 A. I thought it was adequately explained in the
15 preceding paragraph, not the preceding paragraph, that
16 paragraph that you took that sentence from.

17 This is the analysis that I'm referencing in this
18 last sentence are the adjustments that I made to the
19 temperature and the precipitation data based on a comparison
20 between the period of available data from 2000 and 2006 when
21 I applied the ASCE equation, calculated the consumptive use
22 of applied water for alfalfa, and the long-term average as
23 defined in the Reno Airport Station for the Truckee Meadows.

24 That's the adjustments that I made. That's what
25 that sentence references, those adjustments.

1 Q. So, it was an adjustment based on temperature
2 alone, right?

3 A. Temperature and precipitation.

4 Q. And precipitation, but we've already agreed that
5 you did not make one for humidity, right?

6 A. Correct.

7 Q. And the other factors that I went through and you
8 said you didn't consider, it does appear to me, Mr. Bergfeld,
9 that if you start looking at making adjustments for what are
10 real-time conditions, you start to reduce the consumptive use
11 number. Here you reduce it from 3.1 to 2.9 using just two
12 factors, right?

13 A. That's correct, that's what I did, in the same
14 way that I made that adjustment to be more representative of
15 the long-term average conditions in the Truckee Meadows,
16 assuming that the crop has a full water supply.

17 If I would have just not made that adjustment,
18 then my estimate would have been 3.1, which it could be in
19 some years. In other years it may be less than 2.9, but my
20 opinion is that the long-term average or a representative
21 consumptive use of the applied water of alfalfa in the
22 Truckee Meadows is 2.9 feet.

23 Q. But, wouldn't it be fair to say, Mr. Bergfeld,
24 that you could have done a similar type of adjustment for the
25 other factors that we've already gone through and that would

1 have resulted potentially in a further reduction from the
2 2.9 acre feet; isn't that correct?

3 A. It may have, yes.

4 MR. VAN ZANDT: That's all I have.

5 HEARING OFFICER JOSEPH-TAYLOR: Redirect,
6 Mr. DePaoli?

7 MR. DePAOLI: Yes. Can I have a minute?

8 **REDIRECT EXAMINATION**

9 BY MR. DePAOLI:

10 Q. Mr. Bergfeld, Mr. Van Zandt asked you if you
11 attempted to match temperature data to the locations which
12 were the original places of use for these Orr Ditch Decree
13 water rights. In order to have done that, what would you
14 need?

15 A. I would need temperature data from those specific
16 locations.

17 Q. So, in other words, you would essentially need a
18 weather station at each one of these farms?

19 A. I would need temperature data for each location
20 that I was attempting to match. If that is required,
21 depending upon how small an area needed to be matched, each
22 field, each farm, I'm not exactly sure, I would need
23 considerably more data.

24 Q. Based on the looking that you did undertake to
25 find out what data was available, did you run into any data

1 like that?

2 A. No.

3 Q. Mr. Van Zandt asked you if you considered the
4 information that's on page 94, tab 2 of Exhibit 2226, the
5 paragraph that talks about plowing in January and February.

6 A. Yes.

7 Q. Based on both the growing season and the
8 irrigation season that you used in your study, would any of
9 that information have been relevant to what you did?

10 A. If the growing and irrigation season begin
11 earlier, then my analysis assumed that that would have an
12 effect. I would tend to increase the consumptive use request
13 of applied water, or if it continued and extended past the
14 date that I assumed in my analysis, that would also tend to
15 increase the consumptive use of applied water.

16 Q. Based upon your review of the comparison of the
17 Tovey and Houston reports, were you able to determine whether
18 the dates during which they conducted their tests were
19 actually the dates of the growing season as you have defined
20 it in your report?

21 A. I didn't see any explanation for the dates
22 selected in either report. I don't have a basis to make a
23 determination of why they used those periods.

24 Q. I want to see if I can understand this, because I
25 got a little bit lost when the conversation was going on

1 about this, but let's use Tovey and the bottom line there.

2 My understanding from the questioning that
3 Mr. Van Zandt did of you was that the 31.2 inches of
4 consumptive use there was in an area that was well drained
5 and had no shallow groundwater table; is that correct?

6 A. That is my recollection, yes.

7 Q. And then the 42-inch consumptive use was in an
8 area that did have a shallow groundwater table?

9 A. Again, that is my recollection.

10 Q. And do you know in the Tovey report, whether that
11 42 inches included or excluded the contribution that might
12 have happened there from the shallow groundwater table?

13 A. I believe it included the contribution from the
14 shallow groundwater table.

15 Q. It was actually measured?

16 A. It was measured.

17 Q. So, where there is a contribution from the
18 shallow groundwater table, is that going to show more
19 consumptive use than an area where there is no shallow
20 groundwater table and just applied water as appears from
21 these two numbers?

22 A. It appears from the Tovey study that that may be
23 one of the results; in well-drained soil alfalfa consumes
24 less water, and in a wet, shallow groundwater table alfalfa
25 consumes more water.

1 Q. So, the fact that you did not, in the analysis
2 you did take into account any contribution by groundwater
3 would not necessarily mean that if there was a contribution
4 from groundwater, your number would be lower, or better said,
5 should be lower?

6 A. Not necessarily, yes.

7 Q. If the water that's being changed here to this
8 use for storage had been consumed by plants, it would not be
9 flowing in the Truckee river, would it?

10 A. No.

11 Q. And I think Mr. Van Zandt asked you some
12 questions about in actual conditions, the consumptive use of
13 alfalfa in the Truckee Meadows could be less than the number
14 you came up. Do you recall that question?

15 A. Yes.

16 Q. And could it also be more?

17 A. It could be.

18 Q. In the approach that you took here to calculate
19 the consumptive use of alfalfa, Mr. Van Zandt pointed out
20 that you did make some adjustments for temperature and
21 precipitation based on longer term data. Do you recall that
22 question?

23 A. Yes.

24 Q. And then he asked or pointed out that you hadn't
25 made any adjustments for the other things that he asked you

1 about, like variability in supply, variability in methods of
2 irrigation, variability of -- well, just those two.

3 Do you know of a way to do that in connection
4 with the kind of analysis you made here?

5 A. Your question is do I know of a way to make
6 adjustments based on variability in water supply?

7 Q. Not variability in water supply, based in
8 variability of variable sources of supply and variability of
9 the kind of land that is involved, steep methods of
10 irrigation, that sort of thing.

11 A. Not that I'm aware of.

12 MR. DePAOLI: I have no further questions.

13 HEARING OFFICER JOSEPH-TAYLOR: Recross?

14 **RECROSS-EXAMINATION**

15 BY MR. VAN ZANDT:

16 Q. Do you have Exhibit 953 there, Mr. Bergfeld?
17 It's a newly marked exhibit, so I don't know if you have it.

18 HEARING OFFICER JOSEPH-TAYLOR: Chris Mahannah's
19 power point.

20 THE WITNESS: Exhibit 953?

21 BY MR. VAN ZANDT:

22 Q. Yes.

23 A. Yes, I have it.

24 Q. I'm referring you to slide 12 which is on page
25 six. Do you see that?

1 A. Yes.

2 Q. That's a chart that came from your report,
3 correct?

4 A. I believe it's a summary of a chart that came
5 from information presented in my report.

6 Q. And then look over at slide 13 on page seven.
7 This was testified to yesterday by Mr. Mahannah, but
8 basically a method for taking your information on slide 12
9 which is derived from your table 5 and applying some of the
10 factors that we've been talking about and arriving at an
11 actual CU number. Do you see that?

12 A. I see that.

13 Q. So, it is possible, Mr. Bergfeld, isn't it, to
14 take your theoretical number and adjust that to get to an
15 actual number; wouldn't you agree?

16 A. It's possible to make adjustments to that if the
17 crop does not have the water supply available.

18 Q. Thank you. Now, Mr. DePaoli asked you, it was a
19 clarification question from one I asked you about the
20 matching temperature data. I think he misunderstood my
21 question.

22 My question had to do with matching temperature
23 data to the locations from which the irrigation rights are
24 derived, and relating that to the time period in which the
25 irrigation took place, not necessarily having weather

1 stations at a particular location, but relating it to the
2 temperature data from the time period in which irrigation
3 actually took place.

4 You did not do that kind of a calculation, did
5 you?

6 MR. DePAOLI: The question is vague as to what
7 irrigation took place.

8 HEARING OFFICER JOSEPH-TAYLOR: I didn't
9 understand it either. Sustained.

10 BY MR. VAN ZANDT:

11 Q. Mr. DePaoli asked you whether or not you can
12 match temperature data to a location and whether you'd have
13 to have a weather station at every one of the farms in order
14 to figure that out, right?

15 A. Correct, that's what he asked me.

16 Q. But my point is I think he misunderstood what my
17 question was. What I was looking for is was it possible for
18 you to match the time period for the temperature data that
19 you analyzed to the period that irrigation was actually
20 taking place for the base rights?

21 A. I attempted to match it to the long-term average
22 and I did based on the period of data that were available,
23 which went back to 1937. To the extent that irrigation was
24 taking place, that is incorporated in the long-term average,
25 but I did not attempt to make any year-by-year match or

1 anything more detailed than that.

2 Q. And Mr. DePaoli just asked you about the, I
3 believe it was the season that was used by Mr. Houston and
4 Mr. Tovey in their analysis which is in your power point,
5 Exhibit 126, the last page, supplemental table 1. Isn't it
6 true, Mr. Bergfeld, that what Mr. Houston and Mr. Tovey were
7 trying to calculate here was a consumptive use for alfalfa
8 over the time period for which it was being irrigated?

9 A. Irrigated in that study, yes.

10 Q. Right. And those time periods are on page two, I
11 believe, of your report, correct, Exhibit 121?

12 A. Correct.

13 Q. So, it would be fair to say, wouldn't it,
14 Mr. Bergfeld, that what Mr. Houston and Mr. Tovey were doing
15 was actually looking at an irrigation season for alfalfa
16 during the time period of their studies; isn't that right?

17 A. It was the period that they conducted their
18 studies. I don't know how that relates to the irrigation
19 season in the Truckee Meadows at large.

20 MR. VAN ZANDT: That's all I have.

21 HEARING OFFICER JOSEPH-TAYLOR: Questions from
22 staff? Thank you, Mr. Bergfeld. You survived. I hope you
23 have a job. Let's be off the record.

24 (A discussion was held off the record.)

25 HEARING OFFICER JOSEPH-TAYLOR: We'll be in

1 STATE OF NEVADA,)
2 CARSON CITY.) ss.

3
4 I, MARY E. CAMERON, Official Court Reporter for the
5 State of Nevada, Department of Conservation and Natural
6 Resources, Division of Water Resources, do hereby certify:

7 That on Tuesday, the 16th day of December, 2009, I
8 was present at 901 South Stewart Street, Second Floor, Carson
9 City, Nevada, for the purpose of reporting in verbatim
10 stenotype notes the within-entitled public hearing;

11 That the foregoing transcript, consisting of pages
12 347 through 516, inclusive, includes a full, true and correct
13 transcription of my stenotype notes of said public hearing.

14
15 Dated at Carson City, Nevada, this 4th day
16 of January, 2010.

17
18
19
20
21 MARY E. CAMERON
22 Nevada CCR #98
23
24
25

